

1 BEFORE THE
2 FEDERAL ENERGY REGULATORY COMMISSION

3

4

5 - - - - - x

6 In the Matter of: :

7 RELIABILITY TECHNICAL : AD17-8-000

8 CONFERENCE :

9 - - - - - x

10

11 Room 2C
12 Federal Energy
13 Regulatory Commission
14 888 First Street, NE
15 Washington, D.C. 20426
16 Thursday, June 22, 2017

17

18 The technical conference in the above-entitled
19 matter was convened at 9:30 a.m., pursuant to Commission
20 notice, when were present:

21

22 FERC COMMISSIONERS:

23 ACTING CHAIRMAN CHERYL A. LA FLEUR

24 COMMISSIONER COLETTE D. HONORABLE

25

1 FERC STAFF:

2 MICHAEL BARDEE, (Presiding)

3 ARNIE QUINN

4 JIGNASA GADANI

5 ROGER MORIE

6 LARRY PARKINSON

7 LEE ANN WATSON

8 JOSEPH MCCLELLAND

9 DAVID ORTIZ

10 MATTHEW VLISSIDES

11 MARTIN KIRKWOOD

12 JONATHAN FIRST

13 JAMIE SIMLER

14 ANNA COCHRANE

15 NANO SIERRA

16 CYNTHIA POINTER

17 MARK HEGERLE

18 LODIE WHITE

19 ROBERT CLARK

20

21

22

23

24

25

1 PANEL I: OVERVIEW ON THE STATE OF RELIABILITY

2 GERRY CAULEY, President and Chief Executive Officer, North
3 American Electric Reliability Corporation

4 PATRICIA HOFFMAN, Principal Deputy Assistant Secretary and
5 Acting Assistant Secretary, Office of Electricity Delivery &
6 Energy Reliability, U.S Department of Energy

7 CHAIRMAN ASIM HAQUE, of the Public utilities Commission of
8 Ohio representing NARUC

9 CHARLES KING, Vice President and Chief Information Officer,
10 Kansas City Power & Light Company on behalf of EEI

11 STEVEN WRIGHT, General Manager, Chelan Public Utility
12 District on behalf of Large Public Power Council

13 BABAK ENAYATI, Lead R&D Engineer, National Grid on behalf of
14 IEEE

15 JOHN TWITTY, Executive Director, Transmission Access Policy
16 Study Group

17 JOHN HUGHES, President and Chief Executive Officer,
18 Electricity Consumers Resource Council

19 PANEL II: INTERNATIONAL PERSPECTIVES

20 BRIAN HEWSON, Vice President, Consumer Protection & Industry
21 Performance, Ontario Energy Board

22 COMMISSIONER MARCELINO MADRIGAL, Mexican Energy Regulatory
23 Commission

24 KLAUS DIETER BORCHARDT, Director for the EU Internal Energy
25 Market, Directorate-General for Energy, European Commission

1 PANEL III: THE POTENTIAL FOR LONG-TERM AND LARGE-SCALE
2 DISRUPTIONS TO THE BULK-POWER SYSTEM

3 MARK LAUBY, Senior Vice President and Chief Reliability
4 Officer, North American Electric Reliability Corporation

5 DEDE SUBAKTI, Director, Operations Engineering Services,
6 California Independent System Operator

7 MICHAEL KELLY RIVERA, Los Alamos National Laboratory

8 DR. GEORGE H. BAKER, Senior Advisor, Commission to Assess
9 the Threat to the United States from Electromagnetic Pulse
10 Attack

11 RANDY HORTON, Senior Program Manager, Electric Power
12 Research Institute

13 THOMAS POPIK, Chairman and President, Foundation for
14 Resilient Societies

15 SYLVAIN CLERMONT, Director, Reliability Standards and
16 Regulatory Compliance, Hydro-Quebec TransEnergie

17 PANEL IV: GRID SECURITY

18 MARCUS SACHS, Senior Vice President and Chief Security
19 Officer, North American Electric Reliability Corporation

20 MANIMARAN GOVINDARASU, Professor of Computer Engineering,
21 Iowa State University

22 MICHAEL ASSANTE, Director Critical Infrastructure and
23 Curriculum Lead for ICS/SCADA, SANS Institute

24 GREG FORD, President and Chief Executive Officer, Georgia
25 system Operations Corporation

1 DAVID BALL, Director, AEP Transmission Dispatching, American
2 Electric Power

3 NATHAN MITCHELL, Senior Director, Electric Reliability
4 Standards & Security, American Public Power Association

5 COMMISSIONER ROBERT (Bob) SCOTT, New Hampshire Public
6 Utilities Commission

7 BRANDON WALES, Director, Office of Cyber and Infrastructure
8 Analysis, U.S. Department of Homeland Security

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 (9:30 a.m.)

3 MR. BARDEE: Good morning everyone. I'd like
4 to thank everyone who's here today and listening outside of
5 the building, and especially thank our panelists, both on
6 this panel and later in the day, for being here and
7 submitting the testimony they've already sent us and for the
8 remarks they'll make today and being available to answer our
9 questions.

10 Just as a little bit of background, about a
11 little more than 10 years ago Congress approved Section 215
12 of the Federal Power Act and gave the Commission the
13 authority to approve and enforce mandatory standards for
14 reliability of the Bulk Power System. And since then, we
15 have worked with NERC in this process of adopting and then
16 enforcing the standards.

17 NERC, through it's regional entities, has really
18 taken the ore on all of that and it's been a good working
19 relationship and I think at this point it's fair to say we
20 have good set of standards. With that, though, there
21 remains work to do. During today's conference, we're going
22 to touch on three areas to explore how we're doing on the
23 reliability of the Bulk Power System and whether there are
24 areas where we need to pay more attention or do more work.

25 The first panel is going to start with an

1 overall assessment of the state of reliability, the major
2 issues that we're facing right now. The second and third
3 are going to address emerging issues, both internationally
4 and then in the United States, and the last panel will be on
5 cybersecurity of the grid.

6 Let me go over just a few housekeeping matters.
7 First, there's no food or drink allowed in the Commission
8 meeting room here, except for bottled water. We would also
9 ask you to turn off your cell phones. We do have a way for
10 people to use Wi-Fi here. There's a piece of paper out on
11 the table outside with the instructions for how to use
12 Wi-Fi, just like that. It says "Guest Wireless Network
13 Rules of Behavior." So if you want to get that a little
14 later and follow that, you'll be able to use the Wi-Fi here.

15 I would add, though, that if you're using your
16 devices on Wi-Fi, you're not paying attention to us.

17 (Laughter)

18 MR. BARDEE: So recognizing that we are a little
19 time constrained, we are going to ask the panelists to limit
20 their oral remarks, generally, to four minutes. There's a
21 clock down here to help you with that. There are a few
22 exceptions because Mr. Cauley is going to be doing the
23 presentation on the overall state of reliability based on
24 NERC's report. We've allowed him a little more time, as we
25 will for our international speakers on the next panel.

1 Let me just read a statement that is now part of
2 our opening at all the Commission meetings here in the
3 Commission Meeting Room. Members of the public are invited
4 to observe, which includes attending, listening and taking
5 notes, but does not include participating in the conference
6 or addressing the Commission. We will not have a general
7 Q&A with the audience during the conference; however,
8 members of the audience and others may submit written
9 comments in Docket Number AD-17-8.

10 Actions that purposely interfere or attempt to
11 interfere with the commencement or conducting of the
12 conference or inhibit the audience's ability to observe or
13 listen to the discussions, including attempts by audience
14 members to address the Commission while the meeting is in
15 progress are not permitted. Any person engaging in such
16 behavior will be asked to leave the building. Anyone who
17 refuses to leave voluntarily will be escorted from the
18 building.

19 So with that, let me turn, first, to Acting
20 Chairman LaFleur for any remarks she may have.

21 CHAIRMAN LA FLEUR: Thank you very much, Mike,
22 and good morning everyone, very happy to have you here. We
23 have a great lineup of panelists and I've read great
24 pre-filed testimony and happy to have everyone in the
25 audience. It's not only exciting to have people in the

1 Commission Meeting Room, but is even under normal
2 circumstances, I think, one of my favorite days of the year
3 because it's such a great discussion.

4 I enjoyed reading the pre-filed testimony and
5 the state of the reliability report. Thank you, Gerry. I
6 just wanted to outline three macro topics, three things that
7 I hope to get from the day as we think about these topics
8 and think about where we're going reliability for FERC 2.0
9 that will be joining us soon and we'll be moving to the
10 other side of the table again.

11 First, is where we are in the standards process?
12 As Mike said, we're 11 years into Section 215 and the ERO
13 Enterprise, so where are we? Have we reached steady state?
14 Are we in steady state? Are there emerging issues that we
15 need to focus on and really build up the standards? These
16 are not mutually exclusive, but it might be complementary,
17 or are there ways in which we need to streamline or reduce
18 the standards.

19 I saw some testimony from some people about
20 selective enforcement based on whether the standards posed a
21 risk to bulk system reliability. Well, all of the standards
22 are supposed to be need for reliability. So if there are
23 standards are not needed for reliability, where are we on
24 the standards? I'd like to get a sense of where we are and
25 where we should be going in a macro sense in the body of

1 standards.

2 Secondly, I want to think a little bit about
3 priorities going forward. I always say given the rather
4 unique structure that Congress gave us between NERC and
5 FERC, the success of our reliability effort really depends
6 on our having shared priorities. So as we address emerging
7 issues, be they related to grid security or transformation
8 of the resources on the grid, what should NERC and FERC 2.0
9 be working on in the coming year between now and when we
10 have our next conference?

11 And as we look at those issues, what tools
12 should we be using because standards is a tool, but we have
13 assessment and the data work and all of the analysis that
14 NERC and the Commission can do. Voluntary collaboration is
15 another tool and how can we balance sticks like the
16 standards or mandatory rules -- you know mandatory things we
17 put in interconnection agreements, with carrots like market
18 structures to get what we need on the grid. You know which
19 of our tools should we be using to get from here to where we
20 need to be in the future.

21 And thirdly, I want to focus on resilience, and
22 I know the afternoon panel is really bore in on that.
23 Resilience seems to be the word of the day. Sometimes I
24 think it means different things to different people. To me,
25 resilience means the ability to recover if something bad

1 happens.

2 That true, you try to have resilient kids when
3 you're raising children. I like to brag that FERC is
4 resilient because we've been through a lot in the last
5 several months, in the last couple years, and so an
6 institution can be resilient and the grid can be resilient
7 if it can recover if something bad happens. So we talk a
8 lot about the solution against all hazards is building up
9 the resilience, and I don't like to say "resiliency." I
10 know some people put a "Y," but we don't have time for that.

11 The resilience of the Bulk Electric System does
12 it come from design? Should we be designing it in a
13 different way to build in more redundancy or optionality or
14 ability to island? Does it come from our spearing strategy,
15 things like grid assurance and building on that? How about
16 standardization? There's a law that I have to mention that
17 at every Reliability Tech Conference. If we had more
18 standardization of design and equipment it would be more
19 resilient. And those are some of the things I want to talk
20 about this afternoon. How we really build up resilience,
21 whether we're talking about GMD, EMP, cyber, or anything
22 else. And of course, in all of these cases how can FERC
23 support it.

24 There's going to be a lot of competition for
25 airtime at FERC, but reliability is job one and this will be

1 one of the first things we're talking to our new colleagues
2 about and hopefully we'll have some ideas coming out of
3 today about what the priorities should be. Thank you very
4 much.

5 MR. BARDEE: Thank you Acting Chair LaFleur.
6 Commission Honorable.

7 COMMISSIONER HONORABLE: Thank you, Mike. Good
8 morning everyone. I was mentioning to a couple of gentlemen
9 before we started that this is our annual reliability party
10 and I'm glad that you all attended.

11 I noticed we don't have as many people as we had
12 at our markets tech conference, but that's okay. What we
13 have here today are the people who are very serious about
14 this work, who are committed to, and we're going to roll up
15 our sleeves and be as technical as you would like. So this
16 is the place for energy nerds and geeks, I would suggest.

17 I'm really glad that we're all here gathered
18 this morning to focus on what I call the bread and butter of
19 what we do here at the Commission and that is ensuring the
20 reliability of the Bulk Power System. And I especially want
21 to thank Mike Bardee and staff especially for your
22 leadership and hard work in pulling together this conference
23 and leading until our colleagues join us whenever they will
24 join us and I hope it will be very soon.

25 I'd like to especially mention Lodie White, who

1 has worked so hard in pulling all of this information
2 together. I want to thank each and every one of our
3 panelists. A number of you are repeat performers and we're
4 grateful for that. Thank you for the work that you do each
5 and every day and also the prospectus that you bring and the
6 willingness that you have to share it with us. I especially
7 want to thank our international colleagues who are joining
8 us. We look forward to that discussion every year.

9 As I often say, it's a new day here at the
10 Commission and this isn't our parents or grandparents' grid
11 any more. When we used to think about how the grid
12 operated, I believe that we thought more about the cost to
13 produce it. Do we have enough capacity to transmit it where
14 it needs to go? But while those are still crucial issues in
15 my mind, we also have to worry about a whole host of other
16 issues that we may not have thought about 10 or 15 or 20
17 years ago.

18 More than ever utilities need to be concerned
19 now with where and how power is moving and ensuring that we
20 have adequate voltage support, frequency response, inertia.
21 And while we always knew that these aspects were important
22 in moving energy with the dynamic shift in resources and
23 differing attributes of increasingly abundant resources,
24 such as renewables, we must pay careful attention to these
25 characteristics now. We also are having to pay greater

1 attention to ever-changing cyber and physical security
2 threats as well as electromagnetic pulses and geomagnetic
3 disturbances.

4 Also, we are more focused on technological
5 advancements and diversity of resources, which have both
6 created new opportunities, but I would suggest they're also
7 equally creating new challenges for us and it really
8 requires us to elevate our game, so to speak, but also the
9 ways in which we work together. And that's why today's
10 discussion is so important in my mind, given the profound
11 changes occurring in our electric system, this is an
12 opportune time to take stock of the progress we've made,
13 where we can improve, with a view of what lies ahead.

14 The NERC's 2017 State of Reliability Report --
15 thank you, Gerry and colleagues -- raises a number of issues
16 for us to consider and I look forward to hearing from our
17 panelists about what's working well and more importantly,
18 what we can do better. This isn't a time, in my mind, for
19 us to come together and pat ourselves on the back. It's a
20 time for us to take stock of where we are and more
21 importantly, where we need to be and how we get there
22 together.

23 I want to take a moment, if I might, to thank
24 Gerry, Janet, Marcus, Mark, and all of our colleagues at
25 NERC for the dedication that you bring each and every day

1 and all the regional entities who carry out this important
2 work so well. I've greatly appreciated in my tenure here
3 the opportunities to visit with you, Gerry and your team,
4 but also to spend time at NERC MRC and board meetings, which
5 I admit were a little overwhelming my first time; but also
6 at CERC's meeting with reliability first. Sitting in on
7 MISOP's discussions at SPP, and with CERC, and I've been
8 delighted to host a number of you here at FERC, including
9 the MRO, WEK, PEAK, and others.

10 Thank you most of all for taking time to educate
11 us and letting us know about the current state of play, but
12 I also see the fruit that this labor brings and I see that
13 we've increased our levels of coordination and decreased
14 MISOP's, we'll hear about that today. We have a stronger
15 focus on cybersecurity and physical security and a greater
16 level coordination among stakeholders in the NERC process
17 and in our working relationship with NERC and I'm really
18 grateful for that and I want to thank you all for exhibiting
19 such a strong commitment to this work.

20 But we know that our work is not done. We must
21 continue to remain vigilant, to be nimble, responsive, and
22 to remember that no matter what the industry looks like in
23 the future our jobs at their core remain the same, to ensure
24 electricity is delivered safely, reliably, and affordably to
25 the consumers that we serve.

1 I hope that throughout this day, and I thought
2 it was interesting that yesterday was the summer solstice
3 and the longest day of the year. I wish this meeting was
4 yesterday because we never have enough time to cover all the
5 things we want to talk about, but I'm particularly
6 interested in, and I mentioned to Pat Hoffman before we
7 began, three key areas that I think we need to pay attention
8 to going forward.

9 Number one is cybersecurity. And I know that's
10 a priority for so many of you, but I think -- and I think
11 everyday consumers are more aware of how cyber threats are
12 growing and evolving and it really requires a new level of
13 awareness education and commitment and an ability to defend
14 our facilities and resources.

15 Number two is gas/electric coordination. I
16 think as we're seeing such a dynamic shift in the energy mix
17 -- and I applaud FERC long before I arrived -- focus on
18 gas/electric coordination. And when I was a Commissioner
19 along side Chair Haque, we engaged diligently with our FERC
20 colleagues on the issue of gas/electric coordination. That
21 issue will only become more challenging for us, I suggest,
22 going forward.

23 Last, but not least, is an area that I've seen
24 really resonate in the pre-filed comments that we will hear
25 about today during the tech conference, and that is our

1 state and federal coordination with our regulatory
2 colleagues. I especially want to thank our colleagues at
3 NERC. Thank you, Chairman Haque. My goodness, you're
4 wearing many hats as you elaborately stated in your
5 comments. We need for our state colleagues to be right
6 there at the front lines with our federal colleagues in
7 carrying out this important work. And I look forward to our
8 discussion today. Thank you.

9 MR. BARDEE: Thank you, Commissioner.

10 Now we'll turn to our panelists for their
11 opening remarks, starting with Gerry Cauley.

12 STATEMENT OF MR. GERRY CAULEY

13 MR. CAULEY: Thank you. And good morning
14 Chairman LaFleur and Commissioner Honorable and I guess
15 virtual Chairman Bardee for today and FERC staff and fellow
16 panelists.

17 I want to thank the Commission for holding this
18 annual Reliability Technical Conference to discuss
19 reliability results and priorities. I'd like to offer my
20 thoughts on four key points from NERC's fifth annual State
21 of Reliability Report, which was issued this past week.

22 First, low power system reliability remains very
23 high. It continues to show year over year improvement.
24 Industry has been very responsive to our risk-based approach
25 and has been shifting resources to fix the most critical

1 changes to reliability. In 2016, we once again saw no
2 category four or five events and only two category three
3 events. Equipment failures continue to have the highest
4 positive correlation to outage severity or impacts. Relay
5 miss operations and human error are second and third. The
6 number of transmission line device failures and human error
7 reports in 2016 both increased, although the impacts of each
8 declined. We believe the increase in reported incidents is
9 due to better cause analysis, which also resulted in the
10 corresponding reduction in reporting of unknown causes.

11 The reduction in relay miss operations continues
12 to be very encouraging. 2016 saw the miss operation rate
13 decline from 9.5 percent to 8.7 percent. A second point is
14 that I believe NERC standards and risk-based compliance are
15 having a positive impact on reliability. On June 18, on
16 Father's Day, we passed the 10-year anniversary of mandatory
17 standards. These standards have had a major impact on
18 reducing risks in areas such as vegetation management,
19 situation awareness, operator training and system planning
20 and modeling.

21 Over time, we've seen a dramatic decline in the
22 number and the severity of compliance violations. I
23 believe, however, it may be time to focus again on
24 streamlining the requirements to ensure the investment and
25 compliance is commensurate with the reliability gains. We

1 also want to continue working to ensure that compliance
2 becomes integrated into reliability operations and is not
3 seen as a separate administrative burden.

4 A third point is that changing technology and
5 resource mix are reshaping reliability at a pace we've never
6 seen before. We've seen the introduction of digital
7 technology operating in microseconds being integrated with
8 traditional protection and control systems that operate in
9 cycles and seconds.

10 A clear example occurred last August 8, 2016,
11 during the Blue Cut fire in California. In the past week,
12 NERC published a technical paper and a Level 2 alert
13 describing how 1200 megawatts of solar power quit producing
14 at a critical time because the invertors were interpreting
15 transit voltage and frequency values from line trips as the
16 actual system frequency and voltage. I want to applaud the
17 recent response of the California ISO to require additional
18 reserves in the market to address uncertain response from
19 some inverter-based resources.

20 NERC has been working with renewable vendors to
21 adjust inverter settings and to provide effective ride
22 through capability and the vendors, I assure you, are being
23 very cooperative with us on this issue. I also feel we may
24 need to clarify our standards to ensure that when new
25 technology gets introduced into the system that the

1 terminology that we used to think was fine is clear with
2 regard to the new technology.

3 We're also focused on a number of other emerging
4 reliability risks and I'll leave those primarily to Mark
5 Lauby on the next panel, but they are the impact of
6 distributed energy resources on the Bulk Power System. The
7 dependence on natural gas, particularly, critical storage
8 and pipeline facilities, and the adequate provision of
9 essential reliability services when large rotating machine
10 which used to be base loaded are now not being dispatched.

11 My fourth point is that cybersecurity has become
12 the most important risk that we face. Today I believe we've
13 seen exceptional performance with no electrical system
14 outages or serious events, but as we will hear in a later
15 panel from Mark Sachs the threats are becoming more serious
16 and at an alarming rate. The 2015 and 2016 attacks in the
17 Ukraine show that the tools for nation-stayed disruption of
18 power grids have been fully developed and tested.

19 The recent announcement of crash override, a
20 very robust threat to industrial control systems and
21 operating systems, is of very serious concern to me. NERC
22 issued an alert to industry last week with proposed
23 mitigating measures for industry. Wannacry and the Internet
24 Things attack in recent months are also likely to affect us,
25 but more in the corporate side, but those threats remain

1 serious.

2 I want to thank you for your time today and I
3 very much look forward to your questions. Thank you.

4 MR. BARDEE: Thank you, Gerry. Next, we have
5 Patricia Hoffman from the Department of Energy.

6 STATEMENT OF MS. PATRICIA HOFFMAN

7 MS. HOFFMAN: So thank you Chairman LaFleur,
8 Commissioner Honorable and the Commission staff. Thank you
9 very much for your leadership. Good morning and it is a
10 pleasure to be here to participate today at the technical
11 conference on the state of electric reliability. I
12 appreciate the opportunity to express the views of the U.S.
13 Department of Energy.

14 As Gerry has mentioned, the U.S. electricity
15 sector is in the midst of major changes and I see little
16 reason to expect that this process will slow down or that we
17 will reach some new equilibrium any time soon. On the
18 contrary, the process of change that we are experiencing
19 today will probably continue. Accordingly, I think the
20 fundamental challenge is now to understand this process and
21 to manage it with proper investments so that our nation's
22 electric infrastructure remains reliable, affordable, and
23 secure.

24 Before I highlight some topics of concern for
25 this Commission, I would like to take a moment to reflect on

1 some accomplishments by industry that are providing value to
2 system reliability. Lessons learned from the 2003 blackout
3 highlighted the need to develop better, real time tools for
4 operators and reliability coordinators, improve system
5 modeling data and data exchange practices, require the use
6 of real time synchronized data recorders, and tighten
7 communications protocols, update communications hardware
8 where appropriate.

9 Lessons learned from the 2011 Southwest blackout
10 highlighted the issues from planning, modeling, and remedial
11 action schemes. Recent hurricanes have demonstrated the
12 need for improvement in communication, automatic switching,
13 and outage management systems. A significant amount of
14 research development and deployment has advanced most of
15 these recommendations, including the development and
16 deployment of PM used, advanced meters, outage management
17 systems, real time tools for operators, but unfortunately,
18 there are still some recommendations that are still under
19 development, such as dynamic remedial action schemes,
20 improved and faster modeling systems with great fidelity.

21 The Electric Sector Coordination Council
22 reiterated the need for improved communications and
23 redundancy in communications, but as Gerry has stated, the
24 performance of the system is improving overall; however, one
25 must keep close watch on regional issues developing. So

1 with respect to this panel today, there are a couple of
2 things I'd like to highlight.

3 Physical and cybersecurity, utilities and system
4 operators need to continue the efforts to identify data,
5 facilities and systems that are essential to the reliability
6 of the system and take reasonable steps to harden them.
7 Mitigate the reliability risks associated with rising gas
8 and electric interdependence. The Aliso Canyon Event
9 involved the functional loss of a major underground natural
10 gas storage facility in Northwest Los Angeles, which has
11 lead to increased reliability risk to the Los Angeles area.

12 The third area is the need for planners to build
13 more flexibility in optionality into their systems, both in
14 the short term and the long term. The uncertainties the
15 assistant planners must take into account have multiplied in
16 recent years and this condition is not expected to change
17 any time soon.

18 With respect to data and data analytics, without
19 sustained data and visualization, long-term grid reliability
20 can be compromised. With respect to diversity of generation
21 and reliability, the electricity grid has undergone a
22 transformation as new technologies, changing economics, and
23 shifting customer behaviors and government policies are
24 driving change and we must identify the services expected
25 from the generation fleet in the United States and the

1 appropriate compensation. So with respect to distributed
2 energy resources, the trend is going towards more
3 decentralized electric grid with greater variability of
4 resources providing powers in the ways that today are much
5 less predictable, hence, the ERs are challenging to our
6 traditional approaches to planning operations and raise new
7 questions about how to control, coordinate, and optimize a
8 large number of diverse resources.

9 And the last thing I'd like to mention is the
10 reliability study. Earlier this spring, Secretary Perry
11 asked DOE staff to initiate an internal study to explore the
12 issues central to protecting long-term reliability of the
13 electric grid. Secretary Perry asked the staff to explore
14 three issues: the evolution of wholesale electricity
15 markets, including the extent to which federal policy and
16 the change in electricity fuel mix challenge grid
17 reliability, whether wholesale capacity markets are
18 adequately compensating attributes such as one-site fuel
19 supply and other factors strengthening grid resilience and
20 the extent in which regulation and legislation affect early
21 retirement of base-load generation plants.

22 While recommendations are expected from the
23 final report, it is likely that several areas related to
24 reliability will be identified for further research and
25 study. So with that, I'd like to conclude my comments and

1 thank you and look forward to questions.

2 MR. BARDEE: Thank you, Pat. Next, we have
3 Chairman Asim Haque from Ohio.

4 STATEMENT OF MR. ASIM HAQUE

5 MR. HAQUE: Good morning. Chairman LaFleur,
6 Commissioner Honorable, and staff, thank you for inviting me
7 to participate in today's technical conference. My name is
8 Asim Haque and I am the Chairman of the Public Utilities
9 Commission of Ohio. I have the privilege of serving on the
10 Board of Directors of NARUC and I'm also one of two state
11 government sector representatives elected to the Member
12 Representative Committee of the NERC, actually an
13 opportunity that was provided to me by then-President
14 Honorable. So thank you -- I think thank you.

15 It is in this total capacity, Chairman of the
16 State Commission, representative of NARUC and of the NERC
17 MRC that I present these remarks today. These remarks are
18 meant to simply inform the Commission on topics related to
19 NERC's reliability endeavors that are foremost on the minds
20 of the states. These topics include distributed energy
21 resources and their collective impact on the Bulk Power
22 System, reliability impacts associated with the retirement
23 of base-load resources and efforts to incorporate costs into
24 the NERC's standards process.

25 Before I elaborate on these topics, I would like

1 to first recognize the diligent work of NERC. NERC has the
2 difficult and highly technical task of ensuring the
3 reliability of the Bulk Power System and it performs very
4 admirably in that task. State commissions also appreciate
5 the strong relationship we have developed with NERC.

6 The rapid advancement of technological
7 innovation on the electric grid is causing many states to
8 launch grid modernization endeavors. Ohio, in fact,
9 recently launched a comprehensive grid modernization
10 endeavor entitled "Power Forward." Power Forward is built
11 upon to pillars, innovation, both technologic and
12 regulatory, and the concept that this innovation must serve
13 to enhance the customer electricity experience.

14 As the PCO has learned in Power Forward,
15 innovation associated with distributed energy resources is
16 quickly growing and we expect for this marketplace to
17 continue to expand. Regardless of the path the states take
18 for integrating and compensating these resources, the states
19 understand that they are traversing through somewhat
20 uncharted waters. This sense of the unknown also applies
21 to the intersection of distributed energy resources and the
22 Grand Pack Dunball Power System reliability.

23 NERC understand this and has proactively created
24 the Distributed Energy Resources Taskforce. NARUC is
25 pleased to be actively participating in dialogue with

1 members of that Taskforce. They believe that the
2 recommendations in that Taskforce's final report associated
3 with things like data sharing, modeling, and industry
4 collaboration are very, very sensible.

5 The states understand that the increased
6 proliferation of the distributed energy resources cannot
7 compromise bulk power system reliability. The states and
8 NERC are learning together and the states stand ready to
9 assist. This could take the form of information sharing so
10 that appropriate modeling can be conducted for the
11 recommendation of that Taskforce report. This could also
12 take the form of an effort that produces some type of
13 uniform guidance socialized through NARUC.

14 There continues to be much dialogue surrounding
15 the changing resource mix and the retirement of coal and
16 nuclear generating plants. Some states are taking measures
17 to subsidize these base-load plants through various state
18 initiatives. These state initiatives have prompted very
19 robust policy debates. Missing from this discussion,
20 however, has been a true scientific analysis to explain
21 reliability risks to the Bulk Power System as these
22 base-load units face potential retirement.

23 NERC is uniquely situated to conduct this
24 analysis, as the electrical liability organization for North
25 America NERC is capable of examining this issue through

1 actual science and engineering. NERC conducts special
2 assessments on emerging issues and trends that will
3 influence both power system planning, development, and
4 system analysis and this is one of those items that NERC is
5 considering studying.

6 Grid reliability should be viewed as a
7 scientific problem and NERC's concept of a special
8 assessment for accelerated base-load retirements could
9 provide concrete data that may serve to inform public policy
10 determinations, thus, NARUC would support and encourage
11 NERC's efforts to engage in collaborative discussions based
12 on the scientific outcomes of that study.

13 I previously testified that cost should be
14 considered in NERC standard development and implementation
15 and that this would help to foster a culture of reliability
16 excellence. The cost of facility compliance with NERC
17 reliability standards will always be a concern. For state
18 commissions, I am pleased to report that NERC, based on
19 input from its stakeholders, including NARUC, has developed
20 a plan to promote cost analyses in its standards process.
21 NARUC has requested that NERC provide meaning reporting
22 related to the outcomes of these endeavors at least
23 biannually. After NERC's latest proposals are initiated, we
24 would like to know how these actions are tangibly impacting
25 the -- process, if at all. But again, NERC has done a

1 marvelous job in addressing this.

2 Commissioners and fellow panelists, thank you
3 again for the opportunity to participate this morning. I
4 look forward to questions.

5 MR. BARDEE: Thank you, Asim. Next, is Charles
6 King, testifying on behalf of EEI.

7 STATEMENT OF MR. CHARLES KING

8 MR. KING: Thank you and good morning. Acting
9 Chair LaFleur, Commissioner Honorable, staff, for the
10 opportunity to be here this morning. Just a brief
11 perspective that I think is important when we have these
12 conversations, electricity's value is measured by its
13 reliability. The significance of reliability has not
14 changed significantly since the times of Thomas Edison first
15 opening the Pearl Street Electric Station in New York City
16 up through the technological advances that have lead us to
17 the modern electrical grid today marked by things such as
18 renewables, distributed generation, smart grid tools that
19 include energy response and then also ideas that were once
20 aspirations of how we would use electricity that are today
21 reality, such as electric vehicles.

22 However, those innovative transformations, as we
23 all know, that are a part of the electrical grid today have
24 also brought forth challenges to reliability as we've
25 already discussed this morning, and that includes providing

1 essential reliability services and also, of course,
2 cybersecurity as two of the largest.

3 I'd like to underscore that when we discuss
4 reliability it's essential that we keep in mind the industry
5 incentive fostered by the very nature of our business. It's
6 simply in our DNA to provide reliable sources of power and
7 deliver that power reliably to our customers each and every
8 day. With or without mandated standards, the industry is
9 focused on providing reliable power. Now the reliability
10 standards are in place to provide a strong regulatory
11 framework that promotes and works to support reliability.

12 The Commission, NERC, and the industry, I think,
13 have done an excellent job at building and implementing that
14 framework as evidenced by the current high levels of
15 reliability. The reliability risks take on many forms,
16 shapes, and sizes. For example, cybersecurity every day it
17 evolves. It exploits known vulnerabilities, unknown
18 vulnerabilities and we also have innovations, such as those
19 I mentioned a moment ago that give us distributed energy
20 sources.

21 But as good as the regulatory and standards
22 framework is at promoting reliability and addressing
23 challenges and threats to reliability, the speed at which
24 these risks and threats are evolving creates concerns.
25 Cybersecurity, for example, the threats evolve literally

1 every day and the process and time it takes to develop a
2 standard and implement a standard may not yield the desired
3 results to mitigate vulnerabilities in a timely fashion.

4 Today's grid technology continues to rapidly
5 evolve, such as smart inverters. Sometimes those underlying
6 reliability risks cannot be identified and mitigated as
7 quickly as desired, which makes drafting reliability
8 standards and requirements difficult without the time for
9 effective study and cooperative research. While the
10 standards development process is solid and effective, its
11 design does not easily accommodate these emerging, evolving
12 risks that we face today.

13 In light of this limitation, we need to seek out
14 ways to supplement our current processors and other
15 alternatives. Many in government and the industry, however,
16 have already stepped up to this challenge, for example, the
17 work done by the Electricity Subsector Coordinating Council
18 recently in the area of grid security. The definition and
19 roll out of the cyber mutual assistance model I think is an
20 excellent example of that partnership. That partnership, by
21 the way, between industry and government does not replace
22 the current regulatory and standards development process.
23 It simply offers an alternate path to expedite response and
24 further strengthen the grid.

25 We encourage the Commission to look for

1 alternatives to prescribing new or burdensome regulations to
2 addressing these emerging reliability risks. Grid
3 technologies and the reliability risks associated with them
4 are going to continue to rapidly evolve, too rapidly to
5 address them through prescriptive requirements.

6 The Commission, NERC, and us as industry, we all
7 have a shared commitment to reliably operate the Bulk Power
8 System. That's evidenced by ongoing work to address
9 reliability, improve reliability through regulation,
10 government/industry partnerships, applying lessons learned
11 from events in North America and around the world, and also
12 just the rigor with which we approach addressing new
13 challenges caused by new technology and emerging threats.

14 So in recognizing industry's responsibility to
15 our shared commitment to sustain and advance reliability,
16 we'll continue to partner with the Commission, bring forward
17 possible solutions, alternatives, different approaches and
18 we look forward to collaborating with the Commission, NERC,
19 and our other stakeholders to discuss these possible
20 solutions as we all work together to protect and advance the
21 reliability of the grid. Thank you.

22 MR. BARDEE: Thank you, Mr. King. Next, we have
23 Steven Wright, speaking on behalf of the Large Public Power
24 Council.

25 STATEMENT OF MR. STEVEN WRIGHT

1 MR. WRIGHT: Thank you for the invitation to
2 appear again today at this conference. We reviewed today a
3 unique law that assumes effective collaboration and
4 communication between industry and government. Through
5 focusing annually on the most strategic issues, this
6 conference is an important element of making the law
7 successful.

8 I want to start from the perspective that (mic
9 malfunction) -- , managing a number of systems that I've had
10 responsibility for adopting those standards.

11 To get to the first two points that Acting
12 Chairman LaFleur laid out, we have four primary suggestions
13 for strategic focus for the next year. First, create more
14 compliance management rewards for entities that embrace a
15 risk-based approach to reliability standards. The standards
16 are appropriately a systematic, methodical means for
17 managing a very complex system

18 In the case of our utility, and I believe most
19 around the country, our compliance management staff and
20 costs continue to grow. Our challenge since the time this
21 conference was originally initiated is how can we get the
22 biggest bang for our buck. The NERC risk-base compliance
23 and monitoring enforcement program encourages utilities to
24 perform inherent risk assessment to better understand
25 impacts the entity has on the Bulk Electric System. And

1 the CMAP also encourages an assessment of internal controls
2 that an entity has in place to manage reliability risks.

3 At Chelan and for many of my LPPC colleagues, we
4 chose to go all in on IRA and ICE. There is no doubt in my
5 mind that the resulting knowledge and process management has
6 improved our impact on the reliability of the system. And
7 in fact, our auditors identified us as a top tier performer.
8 What I had expected, though, was that as we better
9 understood and documented our contribution to reliability
10 there would be reductions in compliance management costs.

11 Now in fact, our audit scope was reduced by 87
12 percent, making data process go smoother. To this point,
13 though, there has been little reduction in our documentation
14 requirements, which is where the bulk of reliability
15 management costs occur, of the 1,236 requirements and
16 sub-requirements applicable to Chelan four have been
17 identified as eligible for self-logging.

18 NERC has proposed process modifications that
19 could lead to more rewards for utilities that choose the
20 path of seeking excellence and we encourage FERC to respond
21 positively to these initiatives. We also would suggest that
22 the regions be given more authority to say don't worry about
23 where individual entities' standard implementation is not
24 material to Bulk Electric System reliability.

25 Second, the use of cost-effectiveness criteria,

1 NERC is to be commended for their efforts to advance this
2 concept. A lot of good work has been done. But as a
3 knowledgeable friend of mine recently summarized, it's
4 difficult and we still have a long ways to go. We would
5 encourage further dialogue between industry and NERC and
6 FERC to advance these concepts.

7 An important issue to arise this past year has
8 been supply chain procurement. LPPC believes this problem
9 is real and must be addressed and it's good news that the
10 industry has recently approved a new standard. I'm
11 concerned; however, that fundamental management principles
12 and accountability are at risk of being violated by managing
13 this challenge only through the statutory framework of
14 mandatory standards that apply solely to the electric
15 utility industry. An entity can only reasonably be held
16 accountable for actions that they can control and I would
17 strongly encourage that FERC, NERC, and the industry jointly
18 approach other federal agencies that have cybersecurity
19 responsibilities to develop an overarching strategy that
20 extends beyond the electric sector.

21 Fourth, any discussion of reliability would not
22 be complete without considering the changing nature of the
23 physical operation of the Bulk Electric System,
24 particularly, in the West where there's a proliferation of
25 variable energy resources. The challenge of managing a

1 system with increasing amounts of non-dispatchable resources
2 has been understood since at least 2013, but the pace of
3 BERS being added to the system is accelerating beyond
4 previous projections. Actions are being taken and near-term
5 reliability, I believe, is likely not at risk, but as the
6 fleet and grid transform metrics such as a resource adequacy
7 need to evolve.

8 At this point, solutions beyond the next three
9 to four years addressing in particular the afternoon ramp
10 challenge are not agreed upon or being executed. And we
11 also have to consider alternative means of compensating for
12 needed flexible capacity.

13 So in conclusion, we should be proud that
14 reliability is getting better, but as with any system there
15 are opportunities for continuous improvement. We commend
16 the Commission for holding this conference on an annual
17 basis and look forward to continuing to work with you.

18 MR. BARDEE: Thank you, Steve. Next, we have
19 Dr. Babak Enayati from IEEE.

20

21 STATEMENT OF DR. BABAK ENAYATI

22 DR. ENAYATI: Thank you. Good morning Chairman
23 LaFleur, Commissioner Honorable, FERC staff, and my fellow
24 panelists. I thank you for the opportunity to speak at this
25 conference today. IEEE is the world's largest technical

1 professional organization dedicated to advancing technology
2 and IEEE and its members inspire global community to
3 innovate for a better tomorrow for its more than 420,000
4 members in over 160 countries in its high cited publications
5 conference psychology standards and professional and
6 educational activities.

7 As the most active IEEE society in publishing
8 standards, IEEE Power and Energy Society provides the
9 world's largest forum for sharing the latest in technological
10 developments in the electrical power industry and so various
11 policies, regulations, and legislation seek to deliver the
12 environmental objectives for the power generation sector.
13 The North American Electric Power System is becoming more
14 reliant on wind, solar, natural gas, and demand response.

15 In addition to changing energy landscape in the
16 wholesale market, most of the states in the U.S. have
17 ambitious goals to deploy DER in the retail market as well.
18 Given that DER penetration, including green -- generation is
19 increasing rapidly in the U.S. The impact on the Bulk Power
20 System reliability is becoming more apparent.

21 In order to avoid reliability violations, supply
22 disruptions, or extensive transmission upgrades, DER
23 interconnection standards need to be updated to allow DERs
24 to support the Bulk Power System during frequency and bulk
25 disturbance, also known as ride through capability. As

1 deployment of DERs on the distribution system increases, the
2 impacts on the Bulk Power System reliability need to be
3 addressed promptly by updating the standards that govern the
4 technical aspects of the DER interconnections.

5 Many utility distribution companies in the U.S.
6 have adopted IEEE 1547 standards, which provide a set of
7 technical requirements that each DER shall meet to
8 interconnect to the distribution electric power system.
9 Given that the implementation of IEEE 1547 standard is
10 essential to the Bulk Power System reliability, there are
11 some major challenges associated with the implementation of
12 the standard.

13 The top two concerns are, number one, modeling.
14 Currently, the tools that are widely used by distribution
15 for utilities for DER interconnection protection studies are
16 not capable of accurately modeling the DERs with the grid
17 support functionalities, also known as advanced DERs.

18 Number two, concerns related to adverse impact
19 of advanced DER functions on the distribution system
20 anti-island protection and short circuit fault detection.
21 Some distribution utilities are concerned that the advanced
22 DER functions may have adverse impact on the distribution
23 system protection related to the prolong fault and island
24 distraction due to the ride through requirements.

25 What needs to be done? As the IEEE 1547

1 standard is in the revision process, IEEE recommends that
2 the Commission collaborates closely with the distribution
3 utilities, the original ISOs to resolve the concerns
4 associated with implementing the DER ride-through
5 requirements. This collaboration will avoid the delay to
6 implement the IEEE 1547 standard once it's officially
7 published. IEEE believes that the Commission and NERC can
8 play a key role in directing those discussions through the
9 regional ISOs.

10 IEEE Power and Energy Society has the resources
11 and the technical knowledge to help the Commission, NERC,
12 and the regional ISOs to implement the industry standards
13 related to Bulk Power System reliability. And I also want
14 to give you the good news that the 1547 standard passed the
15 ballot last Sunday. So it was open for ballot for a month
16 and it passed the ballot. They are forming a comment
17 resolution team and will address the comments that we
18 received. It was in total about 1,457 comments, so yes,
19 we'll work on those comments and we're targeting the end of
20 this year, hopefully, to publish the standards.

21 So this concludes my presentation. I will be
22 happy to address any questions you may have.

23 MR. BARDEE: Thank you, Doctor. Next, we have
24 John Twitty from the TAPS Group.

25 STATEMENT OF MR. JOHN TWITTY

1 MR. TWITTY: Madame Chair and Commissioner
2 Honorable, nice to be here today. Mr. Bardee, thank you
3 very much for the opportunity. I am here today to speak on
4 behalf of TAPS. TAPS is an organization that represents
5 transmission-dependent utilities in 35 states. The members
6 of TAPS are joint action agencies and utility operators with
7 direct responsibility for keeping the lights on for their
8 customers.

9 Because we are transmission-dependent, we are
10 highly reliant on the reliability of transmission facilities
11 owned by others and at the same time many TAPS members are
12 subject to compliance with NERC standards. So we are both
13 supportive of cost-effective actions to ensure bulk system
14 reliability and acutely aware of the increasing cost of new
15 reliability regulations.

16 I've been in the business now in my 35th year
17 and have experienced two municipal utilities and now at
18 TAPS. I also have the privilege this year of serving as the
19 Chair of the NERC Member Representatives Committee and I was
20 a member of the NERC Reliability Issues Steering Committee.
21 So collectively, this experience has provided me lots of
22 thoughts about customers and reliability.

23 Let me begin by acknowledging the success that
24 FERC and the ERO have had over the past decade and a little
25 bit more. We've collectively kept cascading outages to a

1 minimum through a period of rapid change in the industry and
2 with technology and I suspect everybody agrees those changes
3 aren't going away. I believe it is important to emphasize
4 that we must be careful to measure reliability against what
5 the Congress wrote.

6 Outages occur for a variety of reasons, of
7 course, but Congress directed that FERC and its ERO guard
8 against BPS instability, uncontrolled separations, and
9 cascading outages. This focus is particularly important to
10 remember, especially as distributed energy resources begin
11 to play a greater role in today's grid. We must be
12 sensitive to avoid allowing the federal jurisdictions of
13 FERC and NERC to creep into local distribution systems of
14 the operating utilities across America. It should not be
15 the intent of FERC to undercut state and local regulatory
16 mechanisms that are best designed to serve the need of local
17 communities.

18 I would also like to discuss the cost associated
19 with the requirements of standards that have implemented
20 since they became mandatory with passage of the Energy
21 Policy Act of '05. When I served as general manager of City
22 Utilities, I used to say to our industrial customers that we
23 could guarantee 100 percent reliability, but they wouldn't
24 want to pay that much. The engineers in the room always
25 used to say you really can't do that and we might all agree

1 about that, but the point is the higher degree of
2 reliability delivered the higher the cost.

3 We all understand the importance of
4 competitively prices energy and its impact on the
5 competitiveness of our customers. After all, it is the
6 commercial and industrial customers we serve who provide
7 jobs in our community. I also think we need a renewed
8 paragraph 81 effort. When FERC first suggested that
9 requirements and standards be reviewed to make sure we
10 weren't duplicating effort or undertaking efforts with
11 little benefit, it was a welcomed sign.

12 Earlier this year, Gerry Cauley mentioned that
13 very thing and we support it in the strongest possible
14 terms. Once that first effort was underway, we were hoping
15 there could be a significant number of requirements that
16 could be retired. And while there are successes to be
17 celebrated, we believe there are even more requirements and
18 standards that should be carefully reviewed to see how much
19 value they bring.

20 Let me close by stating the obvious,
21 cybersecurity and cyber issues, generally, have given us
22 perhaps a greater threat than any we face. Many positive
23 steps have been taken to help address these issues with the
24 EISAC and ESCC working actively to help prevent widespread
25 outages. Again, TAPS is most supportive of these efforts,

1 but we must be careful about the costs associated with this
2 work and carefully examine whether tools available to FERC
3 and NERC other than reliability standards are better suited
4 to promptly addressing evolving cybersecurity threats taking
5 full advantage of quickly changing technology and lessons
6 learned.

7 Again, thanks so much for the opportunity to be
8 here today. Look forward to the conversation.

9 MR. BARDEE: Thank you, John. And finally, we
10 have John Hughes from ELCON.

11 STATEMENT OF MR. JOHN HUGHES

12 MR. HUGHES: Thank you Michael and
13 Commissioners. It's a privilege to be back here. And on
14 behalf of my members, I want to state that a few things are
15 as important to ELCON members as reliable electric service.
16 They can't do business without impeccably reliable service.

17 I also want to start on a positive note by
18 thanking the leadership of the ERO Enterprise for the access
19 that they've given to large manufacturers and particularly
20 NERC staff, the very capable Board of Trustees and the
21 regional entities. I think I can state that NERC is no
22 longer a utility club.

23 I especially want to compliment NERC and the
24 regional entities for adopting results-based standards
25 development and the risk-based approach to compliance

1 monitoring and enforcement. This has significantly reduced
2 a regulatory burden of NERC standards on our members that
3 are registered entities and is also, I believe, prevented
4 frivolous registration by members that provide no risk to
5 the reliable system.

6 ELCON members have a unique perspective on
7 reliability issues. Our definition of reliability is much
8 broader than what was in Section 215 and by that I mean that
9 we are subject to the dual jurisdiction of states as well as
10 the federal laws and many manufacturing facilities are
11 interconnected that both the BEF system as well as the
12 distribution system and events on either one of those
13 systems can impact the manufacturing process.

14 We have an overriding concern about the current
15 changes in the industry with the adoption of more
16 intermittent resources and DER distributed energy resources,
17 but we are grateful for the fact that at least at the BES
18 level NERC is addressing these concerns and we hope that the
19 Commission will support these efforts by NERC.

20 With the remainder of my time, I want to focus
21 on two specific areas of concern. First, in the interest of
22 the canary in the mine shaft, several of my members are
23 reporting an increase in power outages that do material
24 damage to their manufacturing facilities. And I don't have
25 enough degrees of freedom of data on this to really

1 definitively identify a trend. They seem to be scattered
2 throughout the United States and the best I can tell
3 they're kind of 50/50 at both the BES level and the sub-BES
4 level.

5 While I'm continuing to work with my members to
6 try to identify more specifically what's going on,
7 obviously, these are not associated with any type of wide,
8 cascading outage. These are all local events. I keep
9 hearing from quite a few of my members that they're
10 experiencing greater voltage problems outside the fence of
11 their manufacturing facilities. Of particular concern is
12 they're getting no feedback from their local utility on
13 what's causing these problems.

14 A second concern deals with a trend that there's
15 an expectation that manufacturers should have their
16 manufacturing process dispatched for the purpose of
17 providing BES reliability and they can't do that. There's a
18 term called "demand flexibility" that's used by advocates of
19 a carbon-free society to explain why they think that it's
20 really the customers that should be providing the
21 reliability to the system rather than utilities.

22 We disagree with that mindset. Most
23 manufacturing facilities, especially large ones, are
24 inflexible. And I would note that NERC has -- excuse me,
25 FERC has a NOPAR pending on primary frequency response which

1 goes down that path and we would like to see a speedy
2 resolution of that issue.

3 And again, thank you for the opportunity to
4 appear and I look forward to your questions.

5 MR. BARDEE: Thank you, John. Thanks to all of
6 our panelists. Let me turn first to Acting Chairman LaFleur
7 for questions she may have.

8 CHAIRMAN LA FLEUR: Well, thank you Mike and
9 thank you to all the panelists. I love this seat. I'd
10 rather sit where Mike is sitting, but we have a great view
11 here.

12 Okay, so many ways I could go. I think I'm
13 going to start with the question I posed in my opening
14 comments and was also raised by Steve Wright's comments.
15 And I want to call out Steve Wright as my memory being the
16 person who suggested having these conferences in 2010. So
17 in some of your comments at that time, if I recall, about
18 more interaction with Commissioners and so forth, so thank
19 you.

20 Steve, John, John Hughes -- John Twitty and John
21 Hughes all talked about I'll call it risk-based selective
22 enforcement of standards and being more risk-based in the
23 way we conduct compliance with compliance -- whatever CMEP
24 stands for, Compliance Monitoring Enforcement Program. And
25 I tried to be supportive of NERC's desire to be more

1 risk-based in enforcement, but I had this competing feeling
2 of like why do we have standards that we don't want to
3 enforce?

4 If there are standards that don't relate to --
5 that are, in Steve's words -- we should remove from the list
6 of standards if you've had this inherent risk assessment
7 standards that are needed for grid reliability. If you have
8 standards that are not needed for grid reliability, why are
9 they standards?

10 Are there things -- are there documentation of
11 other standards you would propose streamlining because it
12 comes out as like after the fact to kind of only selectively
13 enforce, but then you always a fear you might be enforcing
14 the wrong ones or the mechanisms you use to figure out what
15 to enforce with whom are not sufficiently sensitive. So is
16 there a problem with the complexity of the standards? Is
17 there something we should do 11 years in to adjust this
18 rather than backing off on enforcement?

19 And I'll maybe start with Steve, but by Gerry or
20 anyone to comment.

21 MR. WRIGHT: I think there are two ways to come
22 at this. You know one is very consistent with what Gerry's
23 talking about and one is a bit new.

24 So a few years ago, I can't remember exactly how
25 many, NERC were through the paragraph 81 process to review

1 all the standards and a couple of the panelists here and
2 Gerry, I think, said there may be time to revisit that and
3 see where we can get and that was as useful exercise. I
4 described it as modest, but significant changes that were
5 made to the standards at that time to review and understand
6 just what's working and what's not providing as much value
7 and it could well be time to review that. It depends on
8 which standards you're talking about. I don't that we're
9 really quite ready on cyber standards yet. We're probably a
10 year or two away.

11 CHAIRMAN LA FLEUR: I would agree.

12 MR. WRIGHT: So you have to look at where the
13 standards are in terms of their maturation process and then
14 decide whether it's time to go through that paragraph 81
15 process.

16 The part that I'm suggesting that's a bit
17 different is we put in place IRA and ICE in order to be able
18 to understand the impact of each registered entity's impact
19 on the Bulk Electric System. And that has really been good
20 work. I have to tell you it was hard. It was very
21 difficult, but I think it was extremely valuable to do that.
22 But now what we have is the opportunity to look at each
23 registered entity and standards are one size fits all. And
24 now with IRA and ICE, we have the ability to look at the
25 impact each registered entity has on the Bulk Electric

1 System and determine whether the one-size-fits-all standard
2 is necessary in terms of its full application to that entity
3 or not.

4 In order to do that, it would require more
5 authority to be given to the regions because there's no way,
6 I believe, that NERC could be able to manage that process
7 for all of the registered entities, but just take a look and
8 say, okay, do we need the full application of this standard
9 for this entity, given some entities are at that big impact
10 and others have a much smaller impact.

11 CHAIRMAN LA FLEUR: Well, I fully supported the
12 paragraph 81 effort, which I think Commissioner Norris first
13 suggested, but I thought of that as much more kind of
14 looking through and making sure we didn't accidentally have
15 duplicates or there were little things we could shave at the
16 edges.

17 I just want to understand. Drawn to its logical
18 conclusion, Babak, who is sitting next to you, from National
19 Grid, would have a different set of standards or Southern
20 would have the highest standards because they're bigger and
21 someone little would have fewer standards. Is that kind of
22 what you're saying?

23 MR. WRIGHT: I don't think it's necessarily
24 bigger or smaller. This is the great thing about inherent
25 risk assessment. It allows you to look what the impact of

1 the particular facilities that you have what's their impact
2 on the Bulk Electric System, so it could be that you might
3 be a small entity, but you could have a big impact on the
4 Bulk Electric System.

5 CHAIRMAN LA FLEUR: So if you don't have a big
6 impact, then we loosen up on something we might require
7 someone else to do, in concept.

8 MR. WRIGHT: And it wouldn't be tied to the
9 entity itself. You'd have to go through standard by
10 standard, right? So it could be that the individual piece
11 -- you know go back to the Southwest outage. Clearly, there
12 were facilities on the IED system which were really
13 important to the Bulk Electric System.

14 CHAIRMAN LA FLEUR: I thought of them when you
15 said that.

16 MR. WRIGHT: I think we probably all do
17 candidly, is thinking through that, so you wouldn't be able
18 to say, okay, you're a small guy; therefore, you have no
19 impact. You'd have to go through and say what is that
20 facility that you have? How does that relate to the
21 standard? How important is that to the Bulk-Electric
22 System?

23 CHAIRMAN LA FLEUR: So you're talking quite a
24 bit of customization of the standards.

25 MR. WRIGHT: Yes. And that's why I said would

1 require authority to be given to the regional entities in
2 order to be able to go through that. I don't think that
3 could be managed ^^^^

4 CHAIRMAN LA FLEUR: So think paragraph 81 is
5 enough to do any kind of macro streamlining we need to; that
6 that's enough of a tool.

7 MR. WRIGHT: So our experience with paragraph 81
8 was a favorable one. I think it worked well. And again,
9 that's probably something that should be repeated every so
10 often to just to go back through and say how has the system
11 evolved and what have we learned.

12 CHAIRMAN LA FLEUR: John?

13 MR. TWITTY: Well, Madame Chair, I think it's
14 important to continue that paragraph 81 effort. You know
15 when it first started there was lots of enthusiasm with that
16 and I would certainly agree with what Steve has said here.

17 The intent then, as I understand it, Gerry
18 certainly can correct, is that we would move that process to
19 where were writing new standard. We're writing them with
20 the thought that we're going to review what's in the field
21 of vision and in that process we're going to make sure that
22 going forward we're not duplicating, that we have
23 cost-effective standards.

24 I really would be supportive and I think TAPS
25 would be supportive of sort of a renewed effort to start all

1 over again. I think Steve's comments about internal
2 controls and inherent risks is particularly important for
3 TAPS because we're small members, by and large. And I say
4 often our members might do something that might turn the
5 lights out all across town, but it's not going to feed into
6 the Bulk System. You may catch heck at the grocery store
7 or church next Sunday.

8 CHAIRMAN LA FLEUR: Or when you see John Hughes.

9 MR. TWITTY: Yeah. Hey, John, the lights are
10 out at Alcoa today, happy to know that, really to tell you
11 why. So I would really like to see a brand new effort and
12 to further recognize that not one size fits all.

13 CHAIRMAN LA FLEUR: John Number Two.

14 MR. HUGHES: Briefly, one of the nice thing the
15 NERC does -- actually, it's something that its Board does is
16 seeks policy input from the MRC and on a quarterly basis in
17 advance to the Board members. And one of the
18 recommendations that we put forward recently I think touches
19 on what you're getting at, and that is we need some sort
20 metrics on the requirements of each standard that tie the
21 requirement to the quality of the reliability or
22 improvements in the reliability. And I think it's safe to
23 say that no standard is written perfectly and if we had more
24 time and more people to work on them we would want to
25 improve them. But maybe a metrics of this type might be a

1 way of identifying which ones could be rewritten for more
2 effectiveness and really identify and truly reduce the
3 risks.

4 CHAIRMAN LA FLEUR: Gerry.

5 MR. CAULEY: Thank you. I appreciate the
6 comments that fellow panelists in wanting to streamline and
7 get more efficient around compliance and standards.

8 One of the pivots that we're in the process of
9 making is probably not widely known, but we're preaching
10 around the ERO Enterprise is risk-based compliance standards
11 is moving to sort of how do you prioritize the most
12 important reliability issues to a new concept, which is
13 basically fearless focus on any effort you can do to prevent
14 the next outage and use the standards for that and use a
15 compliance activity.

16 So if an activity is not contributing to
17 preventing the next failure, then it's not as helpful. You
18 know so there's some value in standards and compliance for
19 punishment if somebody does really bad behavior. We're
20 making that pivot across NERC and the Enterprise.

21 So that points out a few things. First of all,
22 I do believe that there's an opportunity now to do a
23 concerted review of the standards to make sure they're all
24 contributing to preventing the next outage.

25 CHAIRMAN LA FLEUR: By definition, they should

1 all have something to do with preventing cascading outages
2 on control separation.

3 MR. CAULEY: Exactly. And given the asymptotic
4 approach, we've seen some good reliability and the crunch on
5 revenue and resources I think it's time to go back and look
6 at it again, not in an incremental five-year process, but
7 maybe one more time look into the review. I don't believe
8 we need to go as far as Steve Wright is suggesting in terms
9 of sort of an optional menu of what's enforceable for
10 different folks. I believe that we legally have and the
11 regions legally have the discretion today to monitor and
12 enforce whichever standards we feel suit an individual
13 entity and that's really the purpose of the inherent risk
14 assessment and really creating a risk profile for each
15 entity.

16 And I think the regions could continue to do a
17 better job of explaining that and explaining what will be
18 looked at and I think there can be a negotiation between the
19 entity, but I don't think it makes sense to take a North
20 American set of standards and start creating sort of a
21 little checklist matrix for each entity. The standards are
22 the standards, but if you buy in a philosophy of the purpose
23 of looking at anything is prevent the next failure it's
24 going to point you to the ones that are important for that
25 entity in that situation and based on their history and we

1 have full legal discretion to work on the ones that make
2 sense.

3 CHAIRMAN LA FLEUR: But isn't it the concept of
4 the standards that any of these things could be a leading
5 indicator of something? You know because you don't know
6 where the next failure is. You know the kind of pyramid of
7 little things lead to big things. So is the concept that
8 someone might find a company violating a standard, but say,
9 well, that one isn't really like to contribute to an outage.

10 MR. CAULEY: Well, another concept of this pivot
11 is really to get the entities to focus every day on the
12 small things so that they're managing that. So the
13 effective controls within a company to suppress the --
14 you've been saying this for years. It's a mountain of small
15 things that can actually tip us over, but if we're fighting
16 to suppress the small things on a day-to-day basis, the
17 entities are involved in that, they're aware of that, we're
18 monitoring the effectiveness of their internal controls
19 monitoring. They're self-reporting. They're
20 self-correcting. That helps deal with that sort of sneaking
21 up through a bunch of small things.

22 CHAIRMAN LA FLEUR: Thank you.

23 I want to turn to a different hot topic and
24 that's fuel and fuel security. Secretary Hoffman talked
25 about it in talking about the 60-day study. I believe Gerry

1 talked about Aliso Canyon, which is something we're very
2 closely watching, especially on a day when it's extremely
3 hot in Southern California like today.

4 Back in -- I think it was 2012 when we first
5 started on gas/electric and I put out like three questions
6 or four questions, I don't remember, to the industry. One
7 of them was how should we address this and one of them was
8 is there something we should be doing with standards. And
9 the immediate reaction was whatever you do this has nothing
10 to do with standards. Don't do standards. But is there
11 something now, as we look at the changes in the system and
12 the decreased reliance on types of technologies that have
13 on-site fuel as an exclusive base load. Should we be
14 changing our planning standards in some way to take that
15 potential loss of the pipeline into account or the gas
16 storage? Is there something we should be doing in -- that
17 NERC should be doing in that area around that issue?

18 I know there's a market aspect, but there might
19 be a reliability requirement aspect. Something I know
20 Gerry's hinted at for years, but I mean Aliso Canyon brings
21 it, at least, into the front of topic. Excuse me; it was
22 Secretary Hoffman who mentioned Aliso Canyon.

23 So I'm interested in if anyone thinks that our
24 planning standards or something else should be changed
25 because of the fuel situation we have now.

1 MR. CAULEY: I could take a first stab. So
2 we're doing a special assessment project right now and I
3 expect the report to be out -- I don't know the exact date,
4 but 30 to 60 days its coming. And it's looking at critical
5 points in that dependence between gas and electric where
6 pipeline failures or we've gone around evaluated the
7 different storage sites and looked at the potential impact
8 of loss of key facilities. And philosophically, putting
9 aside the question of a standard, it would be clear from
10 this report, I believe, that you should be planning for the
11 loss of a most critical, a most impactful facility,
12 including if it's on a gas system

13 And so I think the answer is it may point to --
14 once we understand the issue, understand how significant it
15 is, how many places does it occur; but it would be good
16 practice to plan for that loss because you never know it
17 won't happen.

18 I would go further and probably go out a little
19 bit of a limb, but I think there's a general challenge that
20 we need to step back at a policy level and look at the
21 reliability, dependability, and security of the fuel
22 delivery system on gas, given how dependent we are in so
23 many regions. And I know we don't have any jurisdiction at
24 all in the gas arena, but I know the Commission does.

25 CHAIRMAN LA FLEUR: Well, we don't have the

1 reliability jurisdiction over gas, but we have reliability
2 jurisdiction over the people who burn the gas.

3 MR. CAULEY: Right. I'm not a lawyer, so I'm
4 just making loose statements, as an engineer, but I am
5 concerned that you have certain reliability expectations and
6 standards on the electric system and what I consider a
7 foundational piece, which is the fuel delivery doesn't have
8 equivalent standards or expectations of dependency and
9 reliability and security. I don't have a specific proposal,
10 but I think that that's there to be looked, at in addition
11 to your question, which is do we need to look at our
12 planning and when it's one is now loss of a specific
13 critical gas facility, which I agree with.

14 CHAIRMAN LA FLEUR: Thank you. Pat.

15 MS. HOFFMAN: So I look at it that the important
16 thing that the regions and the grid operators need to do is
17 an assessment of the fuel risks to grid operations. And so
18 as looking at the level of regional diversity and to the
19 extent possible how dependent is a region on one fuel source
20 and from that perspective so that it gets to the point that
21 Gerry brought up of really what is the risk to the
22 reliability of the electric system.

23 But at the end of the day, I know the market
24 operators are really looking at availability and saying that
25 there has to be redundancy in fuel supplies and putting the

1 onus on the generators to make sure that they have fuel
2 availability as part of providing electrons and electricity
3 to the system and reliability to the system. So I think it
4 can come down to that point of handling it from a redundancy
5 point of view, but also, I think it's important to have a
6 risk assessment done.

7 CHAIRMAN LA FLEUR: Thank you.

8 And I'll ask one more question and that's on
9 data. I think it was John Hughes who talked about metrics,
10 about the standards, and which have impact.

11 Reading the State of Reliability Report, it's
12 obvious we have more and more data on elements of
13 reliability, but the grid is yielding more data all the time
14 with the PMUs and with the analytics that we're capable of
15 with CADs and GADs and so forth. Is there more that we can
16 do in the area of leading indicators of reliability issues
17 with the new data that we have and should we be expanding
18 our data collection? It's always a question of how do you
19 balance using the data to get the lessons from it with
20 protecting it because of the security, but it seems like its
21 more of a data analytics world and I wonder if we're doing
22 everything we can in this area or there's something the
23 Commission should be doing.

24 MS. HOFFMAN: So I think data provides a great
25 opportunity for improving the operations of the grid,

1 especially in assess management. I think from my
2 perspective as you look into where some of the leading
3 indicators are goes after, say, some of the data that's been
4 helpful for transformer, looking at predictive failure and
5 assessment management, so I think that's one are of
6 opportunity.

7 I am concerned about security of the data, but
8 the value of machine learning and being able to get more
9 predictive in nature and looking probabilistic assessment I
10 think really will provide value for the grid.

11 MR. CAULEY: So I think our ability to collect
12 data from industry and their willingness to provide it to us
13 and to be able to turn it into meaningful results and
14 analysis is really one of the success stories we've had over
15 the last five, six, seven years and I think it will
16 continue. And it's really the foundation to everything
17 we're doing. There are some areas where I believe there's
18 probably going to need more, but we do want to be judicious
19 with the burden and the security issues with having that
20 data.

21 One thing I know we do need to get is some
22 better clarity and granularity around reporting of security
23 incidents because we have OA417 and we have EOP004 for
24 reporting of incidents, sabotage reporting, and so on, but
25 it's very sparse. And so the question is working with

1 industry what makes sense to create a sufficient set of data
2 to analyze are the threats getting worse, are things
3 happening more frequently, are the entities getting into our
4 systems, deeper into our systems.

5 I also believe that we don't have -- NERC has
6 really focused I think this coming year to come up with a
7 better set of security metrics, understand security risks.
8 The idea of, well, no cyber attack is going to cause a
9 blackout. Well, that doesn't mean there won't be one
10 tomorrow, so how do you measure risks, but you need data on
11 the front end to make that happen.

12 Just to follow up on Pat's comment, I believe
13 getting -- sort of corralling the value of PMU data for
14 metrics is probably on our horizon in terms of understanding
15 behavior system. I think you can see the behavior of the
16 renewable inverters-based resources and distributed energy
17 resources. The granularity of the PMU data is so fine that
18 you'll be able to see the nuances of those measurements and
19 try to get some leading indicators of problems I think
20 through that approach.

21 CHAIRMAN LA FLEUR: Thank you. I appreciate
22 your comment on burden and I hope we're looking at a future
23 where we pass fewer rules where some busy person in a
24 control room has to fill out one more report because I've
25 been there and I know some times where that priority comes

1 in versus keeping the lights on and more situations where
2 the actual equipment or the grid is giving us data without
3 human intervention.

4 I guess let my colleague. Maybe she'll make
5 some of the people I haven't bothered work. Thank you.

6 COMMISSIONER HONORABLE: Thank you, Cheryl.
7 Good morning everyone and thank you for teeing up a really
8 robust discussion. I'm like, Cheryl, I don't really know
9 where to start, but I will pick up on the Aliso Canyon topic
10 because I think this is an excellent example of the ability
11 that we all have to play a role. And I think Secretary
12 Hoffman mentioned the federal and regional responsibilities,
13 but I also wanted to tee up because Chairman Haque, Chairman
14 Twitty -- I like calling you that Chairman Twitty -- and
15 John Hughes have also touched on this important need to
16 coordinate the federal and state and local level -- that's a
17 nod to folks, the LPPC folks -- but also, making sure we're
18 playing well with our state colleagues and coordinating. I
19 think there's an important role to play.

20 So while we've been very focused certainly on
21 watching the Aliso Canyon Incident, I want to commend the
22 Taskforce for working diligently on that, certainly, DOE for
23 watching it and NERC's role as well. There's clearly a role
24 for state regulators to play here and I think this Chairman
25 Haque's point as well that states have lead in this area.

1 And this is an example of the importance of our state
2 colleagues appreciating this issue we got passed last
3 summer, thankfully. But according to the summer
4 assessment, we have to be very cautious going forward, so I
5 wanted to ask the Secretary and any others if they wanted to
6 comment about either Aliso in particular or how we can do a
7 better job of being mindful of our state colleagues' role,
8 but also making room for them to continue leading here was
9 well.

10 MS. HOFFMAN: So a couple of comments that I'd
11 like to make as I was thinking about this and that there has
12 to be coordination. As the states think about their
13 investment strategy, whether it's generation, whether it's
14 storage, I think there has to be a close coordination with
15 the reliability coordinators in doing a system evaluation so
16 we can stay ahead of the game of what potential investments
17 are required, whether you take the polar vortex, whether
18 take Aliso Canyon, whether you take the Northeast and the
19 gas infrastructure issues.

20 I think from my perspective the interdependency
21 play is going to be let's take a hard look at the policies,
22 the infrastructures, whether it's battery storage or gas
23 storage. There is some level of storage that is required on
24 the system and think about what are the cost-effective
25 solutions and what really can be optimized to the benefit of

1 the system. So having that close coordination with the
2 states is absolutely critical.

3 MR. HAGUE: Well, thank you for the question
4 Commissioner. This question gets more complicated when you
5 start thinking about states that are in organized markets
6 and states that are not. So it creates one grand,
7 circuitous world of confusion when you start thinking about
8 the State Subsidy Tech Conference that you held and it is an
9 extraordinarily challenging issue.

10 I guess without getting to prescriptive, I have
11 always thought that reliability should be the tie that
12 binds. So in taking my NARUC hat off and putting my Ohio
13 hat on, we have been through the arch of our now famous or
14 infamous PPA cases. There were a tremendous number of
15 policy considerations that were espoused in those cases. I
16 think, though, that what has been missing from the dialogue
17 broadly is the true on sort of reliability concept.

18 And so because of the market issue, the state
19 that resides in an organized market or your typical
20 cost-of-service state, I don't know that there's a silver
21 bullet to this answer of utilizing whatever comes out of a
22 reliability study to socialize that then across states and
23 have some kind of uniform response, but at the very least,
24 from a policy perspective, again, I do think that we are all
25 on the same page with respect to that particular issue, so I

1 do think it can be helpful.

2 And I think that -- look, so I've been doing
3 this now -- this is my fourth year doing this.

4 COMMISSIONER HONORABLE: Thank you, by the way,
5 for doing it.

6 MR. HAQUE: Thank you. Again, thank you, I
7 think to that, but thank you for the opportunity. And our
8 state engagement -- the arch of state engagement has
9 dramatically increased over this just four years.
10 Initially, it was just about cost and now we're talking
11 about this concept of base-load resources. We've been
12 talking about that for a few years now and now we're talking
13 about a totally changing even state rubric with all of the
14 grid mode endeavors that you're seeing and how that will
15 interact with the Bulk Power System. So I think you're
16 right and I think we all recognize that. I think
17 reliability is the tie that binds, but because of especially
18 on the bulk side the markets issue it's an extraordinarily
19 challenging issue, but at least on the distributed
20 resources side I think there's some real opportunity there.

21 COMMISSIONER HONORABLE: Thank you. Anyone
22 else, Chairman Twitty?

23 MR. TWITTY: Well, Commissioner, I appreciate
24 you particularly pointing out that there is local authority
25 as well. People used to say to me, well, you're not

1 regulated by anybody. No, you're regulated a local city
2 council or a local board of public utilities or public works
3 or whatever it's called. And I think the point I would
4 make, and it also goes back to the data question a little
5 bit, and that is just a real focus on the coordination of
6 information flow.

7 Think about if there was an event on the system
8 today you could have three or four or five different
9 agencies requesting information and if you only have to
10 provide it once that's a heck of a lot better than three or
11 four or five. And the same thing about this, just remember
12 that there are local regulators. Steve and I would both we
13 would agree with that, whether it's LPPC or TAPS.

14 Those folks, again, they're the people, the
15 store or church next Sunday that are going to button-hole
16 you and wonder what in the world happened. And like Mr.
17 O'Neil said once, you know the government that's closest to
18 the people is the best, not to say bad things about FERC or
19 NERC, but it is true.

20 COMMISSIONER HONORABLE: Thank you.

21 I wanted to turn now to just acknowledge the
22 fine work of NERC and all of the stakeholders who
23 participated in the supply chain matter. I wanted to say
24 thank you for your effort. I know you worked so hard to get
25 across that line, but I was very pleased to hear the report

1 that it got through in the second balloting.

2 And Gerry, I wanted to turn and ask you a couple
3 of questions. One is to also commend -- I teed it up in my
4 opening remarks -- the work of the entire sector on focusing
5 on MISOPS, in particular. And it was really a beautiful
6 thing to watch, to participate with you and your colleagues
7 at the MRC and at the Board level, to engage with
8 regionally, to even sit in, in an RTO meeting. I happened
9 to be in Little Rock at the SPP meeting and heard a very
10 robust discussion about the state of play with regard to
11 MISOPS and what a number of folks across the industry sector
12 were doing to focus on that and we've seen great results.

13 I also noted in your report that human error, of
14 course, continues to be a challenge, to err is human, and I
15 wanted to ask you what are the lessons that you've learned
16 with your very deliberate approach to tackling MISOPS that
17 you can also employ with human error matters?

18 MR. CAULEY: That's a great question. I
19 appreciate the feedback. You know I think the story that
20 we're still working on and it's unfolding and really miss
21 operations is really a great example of the ERO should work,
22 which is data points to a recurring theme of harms being
23 done, outages being bigger than it should, load shedding and
24 so on, and we say why is it telling us that. And the volume
25 of data that we can see across North America really I think

1 is helpful compared to what each company could see because
2 the company's been doing really miss operation analysis for
3 decades, way before we were doing this.

4 But to be able to see the big picture and to see
5 the pattern at a big level is really helpful. The solutions
6 phrase has really been interesting because we've involved
7 the North American Transmission Forum. Each of the eight
8 regions has their own individual program, so it kind of gets
9 customized and distributed out to get the work done. We're
10 not pulling levers and managing the work.

11 The interesting piece is there are some entities
12 that have rates high as 19, 18, 20 percent miss operations
13 and some as low as 4 percent. Some of those are for
14 reasonable, physical reasons why because the system design
15 is different and different geographic areas, but it tells us
16 that we can focus on particular regions or we can focus on
17 particular entities and drive the performance to continue to
18 be a lot better.

19 I think we can repeat that in the human error
20 field with one concern, so that the solutions in relay miss
21 operation space are very technical, so there's a series of
22 loose connections, polarity reversed, the communications are
23 not correct to coordinate between two relays that need to
24 talk to each other. So the solution space in relays tend to
25 be technical, mechanical, objective things you can do. And

1 once you fix them, they're kind of fixed. But if you can
2 imagine now where I'm going with this, it's going to be a
3 lot more different things can happen. You don't just fix
4 one thing one time, so we're working, once again, with the
5 Forum. We've done a joint workshop with them. We're doing
6 peer reviews of best practices in human performance, but
7 it's much more of a morphs transition. It's not fix one
8 thing at a time. It's going to be building awareness,
9 building best practices, building controls around that and I
10 think we'll see a similar trend in human performance. It
11 has gotten better in terms of impacts and I think we'll
12 start seeing a sort of level of excellence in human
13 performance in terms of error rates we'll be seeing in the
14 coming years.

15 COMMISSIONER HONORABLE: Thank you. And I want
16 to thank you and your colleagues and all stakeholders in
17 advance because we know it's something that will occur, but
18 I appreciate the focus on it because I'm certain there are
19 certain areas that are common -- you know common human
20 errors that can be focused on and I appreciate that you have
21 already seen that and seen ways to improve it because the
22 system is benefitting from it.

23 I wanted to touch on the Blue Cut wildfire
24 incident because you mentioned the tripping of the two 500kv
25 lines in the fire area and the loss of more than a thousand

1 megawatts across multiple areas and I wanted to ask you what
2 did you learn from that and what can we employ going forward
3 to be responsive to a situation such as that. And I'll also
4 give Cheryl an opportunity if I didn't quite ask her
5 question to jump in.

6 MR. CAULEY: I think we learned at different
7 levels. You know at the highest level in terms of ERO role,
8 once again, going back to the data having data and having --
9 this was not really a reportable event. It didn't actually
10 make the news.

11 COMMISSIONER HONORABLE: And if I could say,
12 that's why I was particularly interested in it, the fact
13 that it wasn't a reportable incident.

14 MR. CAULEY: But we saw a series of frequency
15 anomalies that day and we looked at why did that happen, but
16 we had the data and we were able to work with Cal ISO and
17 Southern Cal ISO and others to like let's investigate this
18 even though it doesn't hit the criteria to require an
19 investigation, but it's really interesting, and so we were
20 able to do that, so one lesson is keep doing this.

21 I think with the introduction of DERs and
22 renewables and inverters and new technology keep looking for
23 anomalies that we don't understand why they're happening,
24 keep digging.

25 I think we learned, as I mentioned, that the

1 standards talk about ride-through for generation. Once we
2 investigated this event with the vendors, their
3 understanding of ride-through had nothing to do with our
4 understanding of ride-through. Our understanding of
5 ride-through is you keep producing megawatts because if
6 something's happening on the system around you, you don't
7 want to like drop your production and increase through a
8 cascade into further frequency. They thought ride-through
9 was just shut off the power, but hang on there so they're
10 connected, but they're not actually producing anything.

11 And we also learned that introduction of time
12 horizons, and this is not just in wind and solar inverters,
13 but this is in distributed energy resources and new relays
14 that are coming in that a lot of this equipment is operating
15 in microseconds and they're deciding and acting and doing
16 things before the old, clunky, moving things have time to
17 move or do anything, so that creates a whole new field of
18 reliability concerns is how do we coordinate. The solution
19 in this case is that the manufacturers are telling us,
20 well, we can slow that down. We just didn't know you needed
21 that, so we can put a five cycle delay or a second delay on
22 something and let the system do what it's supposed to do
23 before we decide what to do.

24 So I think there's a lot to learn and I think
25 it's a field that's going to be at the forefront of

1 reliability for a long time.

2 CHAIRMAN LA FLEUR: I guess my question, and it
3 was really a question that was provided by David Ortiz. I
4 don't think I'm smart enough to think it. Is this an issue
5 that's endemic to inverters generally that we need to watch
6 for other places or was it just kind of growing pains on the
7 assumptions and calculation frequency? So I mean how much
8 do you think we need to look across to other situations
9 versus just something that would sit there.

10 MR. CAULEY: Well, I think this is everywhere.
11 This is basically, as we were thinking our strategy on how
12 do we deal with new technologies, one thing we've realized
13 is there's a whole lot of players now involved installing
14 equipment on the system who probably many of them still
15 don't know who NERC is, but certainly, they didn't know who
16 NERC was a year or two ago. But they're putting equipment
17 on a system at high volumes of resources and so they don't
18 understand what the terminology means. They don't
19 understand how we measure frequency and voltage and what the
20 words in the standards mean because we do have a clear
21 blueprint in the standards for how generators should behave
22 when they're connected to the system.

23 Now we're miscommunicating because their
24 understanding is at a level of electronics and the speed of
25 their systems and this is a different level. So I think

1 it's widespread.

2 One of the things I wanted to do is make sure we
3 get this quick enough that we don't get into regrettable
4 situations in terms of installation of new facilities. And
5 we're still investigating, but the vendors have told us that
6 40 percent of the inverters that were involved in the Blue
7 Cut incident cannot be corrected for the voltage problem.
8 So that means they're producers. They can produce
9 megawatts. They can be there. The can be planned for, but
10 if there's a disturbance you have to assume that 40 percent
11 of that generation will leave.

12 So what we want to do is get the work done
13 urgently enough that we don't have any more facilities
14 installed that don't have the capability to operate and it's
15 expensive to replace them once they're in.

16 CHAIRMAN LA FLEUR: Needless to say, when I've
17 talked to solar industry groups and wind industry groups, I
18 frequently urge them to get more involved with NERC, so I'll
19 use the bully pulpit here. It's really essential.

20 COMMISSIONER HONORABLE: I, too, think Gerry
21 your comments speak to not only flexibility, but
22 inoperability and just reminds me of when I was chairman of
23 Arkansas Public Service Commission and we would have a mayor
24 who was gung-ho about putting a wind tower up, but had no
25 clue of -- some vendor came and said, no, put the wind power

1 up and then go to the Commission. You know he didn't know
2 he needed to come to the Commission and the fact that he
3 didn't come first caused a whole world of problems for him.

4 And to your point, our ability to master how
5 we're working with integrating these inverters in such an
6 credibly wonderful time with greater amounts of renewables,
7 but our ability to harness that in a way that still gives us
8 -- I think Pat spoke to being nimble and flexible -- still
9 allowing us to do that. So thank you. I wanted to ask your
10 lessons learned.

11 I wanted to turn to both, Charles King and Mr.
12 Wright, because you both, in your comments, teed up a
13 discussion I wanted to have. One is I too want to commend
14 the industry broadly, and when I say "industry," all
15 stakeholders, but yes, industry meaning EEI as well for your
16 leadership in the ways in which you continue to work.

17 I agree with you that, yes, we need standards,
18 but that there are number of ways in which industry,
19 collectively, the sector, is working in ways -- I love the
20 way you said it -- to supplement this important work. So
21 it's a great time for us to reflect upon now 10 years of
22 mandatory reliability standards, but it's great to talk
23 about the ESCC work, the work happening at the ISAC with the
24 ISAC effort, with fusion centers, with all of the ways in
25 which we're working together. And I'm very pleased that

1 you mentioned mutual assistance, the spare transformer
2 efforts. So I wanted to take this moment to thank you and
3 your colleagues at EEI for your leadership there.

4 Mr. Wright, you raised an interesting point
5 about the fact that, in your opinion -- and I wanted to ask
6 you to talk more about this. You think that we may need to
7 create more incentive or did I write "rewards" or did you
8 say "rewards" for compliance? This is an interesting
9 discussion in my mind because I have a 16-year-old and she
10 gets good grades, but I think she could get better grade.
11 So do I reward her for -- you know where I'm headed with
12 this -- for getting the grades she should be getting anyway.

13 MR. WRIGHT: I have a 17-year-old son, so I'm
14 right with you on this one.

15 COMMISSIONER HONORABLE: So we're speaking the
16 same language. I want to ask you to elaborate on that
17 because I think even in the context of our work here at FERC
18 we have heard some stakeholders saying this is the work we
19 should be doing. This is our job. But I want you to talk
20 more about using this carrot approach versus the stick
21 approach. I think for us in the U.S., I think we've seen it
22 work particularly well, so I wanted to invite you to talk
23 more about that.

24 MR. WRIGHT: Well, I think this is a little bit
25 of the conversation we were having earlier too. I want to

1 spend some more time with Gerry because I heard him say that
2 there is a way to work with the regions that maybe has not
3 been fully exercised yet and I'd like to understand that
4 better because I think one of the things that has happened
5 is the whole commitment to the RAI Program has caused
6 utilities to go down this path of doing really elaborate
7 inherent risk assessment and internal controls evaluations
8 work. And I just say from my experience that has been
9 really good work. We've learned a lot of things that we
10 didn't know about the way our systems operate.

11 We've learned about the way our system impacts
12 the Bulk-Electric System that we didn't know and probably
13 should've known, so there's been some really valuable things
14 that have happened there. There should be an opportunity as
15 well to be able to learn there are places on our system that
16 have a big impact and we need to really be focused and there
17 places on our system that don't have a big impact how can
18 address that in terms of trying to wring some efficiencies
19 out the system. I think that's the challenge that we face.

20 COMMISSIONER HONORABLE: And really take a
21 risk-based approach.

22 MR. WRIGHT: That's right. So that had been, at
23 least from my understanding when we first started down this
24 path three, four years, were I said we were going to go out
25 and we were going to learn a bunch about where it is that

1 individual systems and even facilities within systems were
2 really critical to the system and were they were not and
3 that we would be able to advance our protection of the
4 system through that knowledge that we would gain.

5 And so we're now to that point where we've
6 gained a lot of knowledge. Now the question is how are we
7 going to exercise that knowledge to be able to take
8 advantage of it. And again, we're spending a lot of money
9 on this. I think it's a good thing because we're improving
10 reliability, but if we can find efficiencies, we should go
11 find them and try to get them.

12 COMMISSIONER HONORABLE: Thank you. Any others
13 want to comment on that point?

14 I, too, appreciate Mr. Wright that you mentioned
15 opportunity at the regional level.

16 To Chairman Hague's point, I think that could
17 open up another level of complexity. I think we continue to
18 have discussions about the best regional approaches and ways
19 to get regional efficiency in the context of enforcing
20 mandatory reliability standards, but also harnessing greater
21 efficiencies in our day-to-day reliability work. So thank
22 you for mentioning that and I look forward to greater
23 discussion about the best ways to do that going forward.
24 And thank you all for appearing here today.

25 MR. BARDEE: Thank you, Commissioner. I think

1 staff we'll keep our questions to a minimum so that we don't
2 get too far off schedule. I'll just ask one at this point
3 and it's actually something that you might be able to
4 address, Pat. Others are welcome to also, but it goes to
5 the supply chain issue.

6 As you know, we required NERC to develop a
7 standard. There's a standard in the process. It just
8 passed its second ballot. Presumably, it'll come to us
9 sometime later this year. And if we ever a quorum again,
10 we'll do something with it, but at best, that is a solution
11 that deals with a small part of a very big supply chain. It
12 may reduce the risk for the entities subject to it that
13 apply it, but the supply chain itself involve so many
14 sectors and so many other aspects that are far beyond our
15 role and I was wondering if there are efforts or things that
16 DUE in conjunction with perhaps other parts of the
17 government would be able to or is considering doing that
18 could address parts that we can't.

19 MS. HOFFMAN: So thank you. That's a really
20 important question and it's quite a complicated subject, as
21 you talked about supply chain encompasses more of the
22 subcomponents and parts and pieces than what was directly
23 reflected upon in the standard. So some of the things that
24 the industry should think about is trust in manufacturing
25 and looking into assessment of the manufacturing process.

1 One of the things that the Department's looking
2 at and considering is how do we further do testing and
3 system testing of supply chain components so that we
4 actually can have feedback to the industry from a risk
5 assessment point of view. At the end of the day, it's going
6 to have to be a collaborative process where industry
7 understands the risks that are being posed by the supply
8 chain components and their subcomponents, but also it has to
9 be some disclosure of where some of those vulnerabilities
10 may be. So we're going to look at some system testing, but
11 we're also thinking about how do we learn some lessons from
12 DoD from a trust in manufacturing point of view.

13 MR. HEGERLE: So let's try to tie together
14 several things. I liked Gerry statement on fearlessly
15 focusing on preventing the next outage. And Acting Chairman
16 LaFleur mentioned data and metrics and others of you of the
17 panelists mentioned that as well and Commissioner Honorable
18 mentioned the learning that we could get from the MISOPS as
19 applied to human error.

20 I was wondering about how well we can look at
21 the interdependencies of these various data pieces to do
22 that prevention in that when we look at averages we don't
23 end up necessarily seeing the picture in a specific region
24 or with specific entities that are close together and many
25 of the outages that we've seen like the one five years ago

1 out West was one where one small mistake preventable was
2 made by one entity, another was set up differently and a
3 third and we have a problem. Is there a way? Can we, do we
4 look at the interdependencies of those various pieces at a
5 more macro -- not an individual entity, but a smaller,
6 maybe a BA-area way of thinking about that or identifying
7 those risks so that we can prevent, as Gerry was suggesting,
8 those bigger events?

9 MR. CAULEY: Well, if I could call up Dr. James
10 Merlow from the audience here, he could probably help me
11 answer this better, but we are not focused simply on using
12 averages or broad pictures, but we have some very good PhDs
13 and statisticians on our staff that are looking for the
14 patterns that are hidden in the noise and some of it I would
15 call it sort of transactional or sort event drive. So you
16 look for an event and you try to figure everything out and
17 others are just sort a broad collection of data over time.

18 I think the one opportunity we could probably
19 explore a little bit more is the interdependencies between
20 the datasets. Now we do that to some extent now like if
21 there's an event we're looking at the transmission
22 performance through the TAPS database and we're looking at
23 the generator performance through the gas database and
24 saying well why did they all combine to leave. So we are
25 doing some cross-dependency, but I think the error you're

1 talking about I think is a new opportunity maybe. Even when
2 there's no event and it's a sort of a blue sky day, are
3 there any correlations between data and across the
4 databases. I think that's an interesting question. We'll
5 talk about it when we get home.

6 MS. HOFFMAN: If I may add one thing. I think
7 the value of the PMU data is a dataset that's consistent
8 across the whole industry that provides a platform where
9 grid operators can look at consistent tools and actually be
10 able to do forensics and analysis and asset management. So
11 moving forward, we need to have a similar set of platforms
12 of data, whether it's sensor-based data, the distribution
13 system that the industry writ large can build upon for
14 visibility and really speed up some of the understandings of
15 what's happening and that has to be paired appropriately
16 with the data that's feed into modeling and analysis of the
17 system

18 MR. BARDEE: So with that, I think we'll
19 conclude our first panel. I'd like to thank all of you for
20 your time today and we really appreciate it.

21 MR. WRIGHT: Mr. Bardee, can I make just one
22 quick comment, if I could? I'd appreciate it.

23 I did participate in the first one of these
24 conferences way back in -- I think it was 2010. And there
25 was a lot of tension in the industry at that point and there

1 was one of the reasons for this conference. And I just want
2 to say back I think at the second conference I made a
3 recommendation that this be formalized and happen more
4 frequently and I want to say right now that that was
5 unnecessary. And the reason it as unnecessary is because of
6 the way folks have chosen to participate in processes since
7 then. So Gerry has run his organization in a very
8 transparent way that made it not necessary to do this.

9 The FERC staff has been much more open, I think,
10 in terms of engaging with the industry and the Commissioners
11 have gone to the MRC meetings. So for really good reasons
12 collaboration has occurred and I just want to say that has
13 made this law work a lot better and I appreciate it.

14 MR. BARDEE: Thank you. Thanks again.

15 So if our next set of panelists could please
16 come to the table.

17 Alright, we're going to start our second panel
18 now.

19 COMMISSIONER HONORABLE: Mr. Bardee, if you
20 don't mind, I'm going to raise my voice a little bit.
21 Ladies and gentlemen, I love that you're enjoying this so
22 much, but we are going to proceed to our next panel. Thank
23 you so much for your attention.

24 MR. BARDEE: That's why she's a Commissioner and
25 I'm just a staffer. So let's start our second panel here

1 with speakers from other parts of the world, not the United
2 States and it's an opportunity for us to hear what's
3 happening in other countries, North America and Europe, and
4 to learn what we can that may help us and share our
5 experiences. So I will start by introducing Mr. Brian
6 Hewson from the Ontario Energy Board.

7 STATEMENT OF MR. BRIAN HEWSON

8 MR. HEWSON: Acting Chair LaFleur, Commissioner
9 Honorable, staff, and my fellow panelists, good morning and
10 thank you for the opportunity to come and speak today. My
11 name is Brian Hewson. I am the Vice President of Consumer
12 Protection and Industry Performance at the Ontario Energy
13 Board, which is the gas and electric regulator in the
14 province of Ontario in Canada.

15 And while I will touch briefly on some matters
16 of all of Canada, my remarks will generally focus largely on
17 Ontario because that is where I'm most knowledgeable and
18 most experienced. And I think the experience that we've had
19 in Ontario will touch very closely on a number of the
20 questions that were asked in your agenda.

21 Canada and the U.S. are a highly integrated
22 electricity network system. As you will know I'm sure,
23 there are 34 interconnections between U.S. states and
24 Canada. There's also 33 major inter-prevental connections,
25 which makes inter-ties a very important part of the

1 operation of our grid in Ontario and a very important part
2 of the operation any considerations of the OEB.

3 As you know, unlike FERC, in Canada each of the
4 provinces and territories are responsible for reliability
5 oversight of the transmission network. You know following
6 the 2003 blackout, the federal and provincial ministers of
7 energy got together and decided that there should be a close
8 cooperation and coordination across the country and they've
9 established a working group, which we are a fully active
10 member of, that coordinates and discusses both activities in
11 relation to NERC and activities across the country in terms
12 of coordination and ensuring reliability.

13 Each Canadian jurisdiction has implemented its
14 own approach to ensuring that reliability of the local
15 electricity system is taken care of. Each enforces NERC
16 compliance through a variety of models. In Ontario, I'll
17 speak to specifically, our independent electricity system
18 operator is the designated entity that's in charge of
19 ensuring reliability of the system and monitors and enforces
20 the reliability standards enforced by NERC with the Ontario
21 Energy Board as its backdoor or backstop, I should say. We
22 are there to make sure that if someone needs to have further
23 sanctions against them, we are in the position to do that.

24 You know your questions really focused us on the
25 issue of renewable and distributed generator and how Canada,

1 and in my case, Ontario is managing the evolutionary change.
2 What I can tell you is that the provinces of Canada are
3 heavily involved in renewable energy. As you will have seen
4 in my notes that I've provided, roughly, two-thirds of the
5 electricity that is provided in Canada is produced through
6 renewable sources. And that includes the provinces of
7 Newfoundland, Quebec, BC, Manitoba, and Yukon where they
8 rely on almost 95 percent of their electricity is produced
9 through hydroelectric facilities.

10 Ontario -- now I'm going to focus a little more
11 closely on Ontario -- has gone through a significant supply
12 change over the last 10 years. By 2025, our IESO is
13 forecasting we will have renewable resources connected at
14 both the transmission distribution level that nearly make up
15 50 percent of installed generation. The bulk of the rest of
16 our generation is nuclear and we are in the process of a
17 major refurbishment of all of our existing nuclear units to
18 be able to continue their operation.

19 We did change and increased the renewables as
20 part of a government desire to eliminate coal as part of the
21 Ontario supply mix. While we were eliminating coal, we
22 recognized that we were bring on intermittent renewables and
23 that that required changes to our market rules to make sure
24 that intermittents were playing their proper role within the
25 IESO grid and IESO markets as well as investments in

1 upgrades to both transmission systems and distribution
2 systems.

3 At this point much of Ontario is looking at
4 approximately by the end of this year having over 3600
5 megawatts of distributed generation. That compares to the
6 mid-2000 when we had under 100 megawatts of generation that
7 was connected to the distributors. That distributed
8 generation is causing many changes in our system. We have
9 facilitated the change through rules to require
10 nondiscriminatory access by distributed generation. We've
11 imposed contract requirements that ensure that connection
12 processes are timely, but respect reliability and security
13 requirements. We've also implemented changes to rules to
14 facility good public policy.

15 On the gas side, I did hear mentioned we have
16 recognized the importance because of the increase in gas
17 generation to be assured that there is good coordination, so
18 the IESO has been required to develop a coordination
19 taskforce with the gas distributors and gas generators. As
20 well, they have implemented a new grid, LDC, Local
21 Distribution Coordination, Committee to ensure that there is
22 greater task connection and data sharing across the two
23 entities.

24 They've also focused on frequency regulation,
25 voltage control, and flexibility increases.

1 In closing, I'd like to say that the provinces
2 and territories in Canada will maintain our collective and
3 collaborative efforts to ensure that successful outcomes
4 continue to be achieved as the supply situation changes and
5 evolves. As the first jurisdiction in North America to
6 implement mandatory NERC standards, Ontario plans to
7 continue to play a key and leading role in that
8 collaborative effort.

9 I thank the Commission and look forward to any
10 questions.

11 MR. BARDEE: Thank you, Mr. Hewson. Next, we
12 have Commissioner Madrigal from CRE in Mexico.

13 STATEMENT OF COMMISSIONER MARCELION MADRIGAL

14 COMMISSIONER MADRIGAL: Thank you very much,
15 Chairman LaFleur, Commissioner Honorable, colleagues, we
16 think a lot of your invitation to speak on behalf of the
17 Regulatory Commission in Mexico. We believe sharing
18 experiences is very important. WE have learned a lot from
19 our neighbors in the process of implementing this tremendous
20 energy reform and I will speak in my remarks about the
21 reliability issues with regard to integration of renewable,
22 distributed generation and some of the issues that we are
23 seeing in the gas markets, so I really thank you for the
24 opportunity to be here.

25 Most of my comments will be, of course, personal

1 comments. When there are Commission decisions, I will
2 clearly state those aspects. So with perfect ongoing energy
3 reform in Mexico, renewables will increase up to 35 percent
4 by 2024. Right now clean energy sources in Mexico are about
5 20 percent. In our legislation, clean also means large
6 hydro, including nuclear. We have a large nuclear power
7 station. So out of those roughly 40 percent of -- renewable
8 resources, mainly, wind and solar, but with the recent
9 success of the energy options, we may reach 10 percent of
10 whatever renewable resources just in a question of one or
11 two years.

12 Why? Because we have contracted roughly 6
13 g-watts of new capacity to be added in the next two years,
14 mainly, solar because of the attractive prices we are
15 getting in the market. So what we have been contracted
16 recently is more than what the system has added in the past
17 eight to ten years. So we are going to see a very rapid
18 increase of valuable resources in the next two to three
19 years, reaching up to 10 percent of valuable resources.

20 In the distributed generation, solar is growing
21 exponentially. Roughly, 40 years ago, we had zero
22 installations at the distributed level, now we have 29,000
23 installations. Roughly, they make up for 250 megawatts and
24 the size of the installations are growing from an average 5
25 kilowatt to 10 kilowatt. The Commission has issued rules to

1 continue with distributed generation. We have three streams
2 -- net-metering, net-building, and wholesale of distributed
3 generation to the spot market now that it is facilitated
4 with the energy reform. So we continue using net-metering
5 as a way to facilitate consumers engagement with the
6 market. Of course, those mechanisms will evolve. The new
7 rules have a sunset clause. We will review those, but we
8 believe this is an efficient way to make consumers ready to
9 engage in these activities.

10 The grid code level we're incorporating some
11 smart and better features into our distributed generation
12 rules so our control center in Mexico is gaining expediency
13 on managing renewables. As part of the new market rules,
14 all renewable suppliers have to provide forecast to the -- .
15 This is the control center. They improve that forecast.
16 And in the last issue transmission investment plans in assay
17 is really looking ahead on what investments are required for
18 the suns that is more investment in solar power. So
19 proactive planning to make sure transmission reaches those
20 areas in a reliable way.

21 As part of the reform, we create in Mexico it's
22 like FERC, NERC, and the state regulated altogether, so we
23 have the responsibility to look after wholesale, retail
24 rates, reliability at the federal level, so we issued the
25 first independently release grid code, which is more the

1 reliability standards as a whole, include planning,
2 operations, and interconnection requirements. We are using
3 the expedience worldwide in terms of making sure we have
4 technologies that cooperate with the grid. We are in the
5 process of preparing the first annual, independently issued
6 reliability report and we will see what happens and what
7 revisions in the first version of that reliability report.

8 On the gas side, as you know, natural gas is
9 very important for us. We rely a lot of imports from gas
10 from the U.S. as 55 percent of our gas supply comes from the
11 U.S. and makes for probably 40 percent of our electricity
12 mix. We're also in the process of creating a gas market in
13 Mexico. At the Commission last week we basically freed the
14 previously regulated wholesale price of gas. We're in the
15 process of building a market and in that process there is
16 also an independent system operator of the gas market
17 recently created with the energy reform. Its name is
18 Senegas. And Senegas now that our market is evolving in gas
19 it is also in the process of writing the first grid code for
20 operating the gas infrastructure of the country. There we
21 have jurisdiction. We approve the rules for the gas system
22 operator, so we are in the process with technical groups to
23 write that code.

24 Of course, any reliability issues in the gas
25 sector has big implication for the power grid in Mexico and

1 in the expansion plans of the power sector. The Commission
2 has issued comments that this interaction should be looked
3 after more carefully from the planning perspective, so we
4 have been able to manage issues with gas supply mainly
5 through demand production programs and we continue to work
6 in that.

7 Now looking ahead, the Ministry of Energy, which
8 is the policymaker in Mexico, is in the process of drafting
9 a gas security supply policy, looking at possibly storage
10 quotas. We don't have a policy yet. A policy is under
11 consultation for the fuels market and we already have a
12 policy on the security of supply for the power grid.

13 So that was basically my general comments and I
14 look forward for a deeper discussion. Thank you.

15 MR. BARDEE: Thank you, Commission. And
16 finally, we have Klaus Dieter Borchardt, Director for Energy
17 at the European Commission.

18 STATEMENT OF MR. KLAUS DIETER BORCHARDT

19 MR. BORCHARDT: Thank you very much, Mike,
20 Acting Chairman LaFleur, Commissioner Honorable.

21 First of all, I'm very happy to be here again
22 and that FERC has invited me again to this conference here.
23 It's a real honor for me to be allowed to present the
24 European view in this panel.

25 As you all might know that the European energy

1 system is already in the middle of profound change. All had
2 started about 20 years where we had broken up the structures
3 of the more than nationalized energy markets by unbundling
4 the by then integrated, vertically integrated companies and
5 unbundling them from production and supply and transmission.
6 That was the first important step.

7 The second step in these changes were the
8 creation and the development of network codes and
9 guidelines, a bit similar of what I've just heard here from
10 my Mexican colleague. This work we have nine network codes
11 and guidelines. This work has been finished recently in
12 March this year with balancing code in electricity. And now
13 we are just entering in the next phase and this phase has
14 very much to do with what I call flexibility.

15 Why is that so? The European system, of course,
16 is based on a new climate policy to which the European Union
17 is heavily committed. We have initially started by giving
18 ourselves legally-binding targets. They are running of 2020
19 was minus 20 percent CO2 emissions, 20 percent share of
20 renewables, and 20 percent energy efficiency. And now
21 within COP21 and Paris Agreement Complex, we have globalize
22 new commitments time horizon 2030, minus 40 percent CO2
23 emissions, at least 27 percent share of renewables in the
24 system, and 30 percent energy efficiency.

25 And when you look at, at least 27 percent, this

1 is necessary in order to make it up to the 40 percent CO2
2 emissions because 60 percent of the emissions are coming
3 from the energy system. And 27 percent means not less than
4 50 percent of the whole electricity consumption use, have to
5 come from renewables and here intermittent renewables, solar
6 and onshore winds, but offshore winds coming very strongly.

7 So this, of course, creates huge challenges for
8 our energy markets, but not only the markets, as I've said,
9 for us the drivers for reaching our climate goals are energy
10 efficiency, so therefore we have proposed a profound reform
11 here as well, and renewables. And this, of course, now has
12 to relate to the market. And what we can see is that the
13 market, as it stands now, is not up to the challenges.

14 We have not enough flexibility in the market,
15 neither on the generation side, nor on the demand side and
16 this is, of course, of paramount importance because we still
17 firmly believe that a well-functioning market is the most
18 cost efficient way to deliver electricity to the consumers.
19 So therefore we have put forward as a Commission a very
20 comprehensive package, not less than eight legal acts
21 comprising in a clean energy for all European package and
22 it's free of these concerning the market design of the
23 electricity market.

24 And I would like just to focus on the four
25 building blocks of this market design, part of this package.

1 The first building block are the consumers and here we are
2 trying to put the consumers into the center of our energy
3 system and trying to make them participate in the
4 development of our energy system.

5 And I will only highlight two concrete measures
6 here. The first is that we give them an unconditioned
7 right, all consumers, individually or collectively, in
8 energy communities to produce, to store, and to sell energy.
9 The second is the demand side response. Here we foresee two
10 different ways. One is price driven. Here we provide the
11 consumers with dynamic pricing systems and smart meters so
12 that they can adapt a consumption to the price situation and
13 the other is incentive-based. Here we are creating a very
14 robust legal framework for aggregators so that they can
15 enter into the market and do this demand side management.

16 On the wholesale market, of course, it is the
17 integration of the intermittent renewables that we have and
18 here it's very clear that we are moving away from base-load
19 capacity to flexibility. Our intermittent renewables are
20 not reconcilable with purely base-load capacity approach.
21 How do we do that? First, we have to make the market fit
22 for the renewables and that means in the first place we have
23 to reform our balancing markets. We need much, much more
24 balancing reserves and we need, of course, services at very
25 short notice from generators and from the demand side

1 response in order to keep the system balanced in real time.

2 Here we are moving the balancing from the
3 national to the regional level, so the calculation and also
4 the procurement will not be done within the realms of the
5 member state, but in the region. We are also finalizing our
6 work on the short-term markets, which will become even more
7 important in the future. So intra-day and day-ahead market
8 coupling is about to be finalized.

9 Another issue is the pricing system. We are
10 proposing that the price setting should only be done
11 according to the market signals, nothing else. So that
12 means that the old price caps and the regulated prices that
13 you see in a number of systems in different members states
14 -- 17 members states still have regulated prices -- have to
15 be abolished and we've proposed that. We also want to allow
16 prices to rise to the value of lost load in order to also
17 reflect scarcity, so scarcity pricing has to come.

18 Another issue you know in Europe we are
19 following the sonar pricing approach. The configuration of
20 price zones is also an issue. The problem we have today is
21 that the price zones are not designed where the congestion
22 is, but under political considerations and it's political
23 borders that are prevailing over the economic and technical
24 ones and that we are changing as well.

25 We are introducing capacity mechanisms, but only

1 as a last resort instrument, capacity mechanisms that have
2 to be proven its necessity at regional levels. So the
3 adequacy assessment has to be done at regional level, not
4 any more at national level. It has to be cross-border open
5 so that can also companies from -- and other member states
6 can participate in that end. Here we have introduced as
7 well an emission performance standard, 550 grams CO2 per
8 kilowatt hours, which will kick out or not allow in
9 coal-fire power plants and some even gas-powered power
10 plants. That's what we are doing on the market side.

11 On the renewable side, here we are bringing all
12 of the renewable producers under the same obligations as any
13 other generators, so that means balancing responsibilities,
14 no priority dispatch any more. Another very important is
15 because if you have more renewables you have decarbonized
16 generation and you have closed integration. What does that
17 mean for the interoperability? That means that we'll have
18 much, much more interrelated system operations.

19 And in order to cope with that, we want to
20 create the so-called regional operational centers. Here we
21 have an organized cooperation between the respective TSOs in
22 the regions and this ROX as we call them, they will at
23 regional level do the sizing of the balancing reserves.
24 They will do the capacity calculation. They will care about
25 security and safety issues and they will also do their

1 generation adequacy.

2 The third building block is infrastructure. And
3 here I can say that we have a well-working planning system
4 in place with a 10-year network development plan, with a
5 project of common interest, and to connect a newer facility
6 bridging financing gaps, so this is all working well. But
7 what we need more is very strong cooperation between DSOs
8 and TSOs because in Europe the renewables to 60 to 90
9 percent are going directly into the distribution grid and
10 they cannot cope with that alone, so there has to be very,
11 very close planning and managing cooperation between DSOs
12 and TSOs and we are putting the respective rules in place by
13 creating a platform on which DSOs and TSOs have to carry out
14 specific tasks.

15 And then, finally, digitalization as the
16 building block. Here I have to say that our proposal
17 currently in discussions in the Parliament and in the
18 Council of Ministers has only some elements of
19 digitalization like smart grids and smart meters innovation,
20 how to bring more innovation into the energy system. But I
21 think in future, and this is maybe a new challenge, more has
22 to be done. We have to think about to use block chain here
23 in order to make possible to be peer selling. I have heard
24 in the previous discussion. I think you, Acting LaFleur,
25 have mentioned that we need in real time information from

1 the grid, so you could also use this new databases to give
2 us automatically without intervention of human beings this
3 information. This is absolutely important. Also, the
4 automation of the houses so what happens behind the meter
5 will be an issue. We have not addressed it yet.

6 And last, but not least, also cybersecurity. My
7 colleagues have mentioned gas. Gas is not part of this
8 package. We are concentrating on the electricity side. We
9 have a well-functioning gas market. Gas in this new system,
10 in my view, will stay as a backup. We will go out of coal.
11 Some member states will continue with nuclear,
12 traditionally. We might have one member state staying in
13 coal. That's forgiven, but mainly there is gas to stay as a
14 backup.

15 So all-in-all, I must say that we have now a
16 1,000-page legal work on the legislators' table. We hope
17 that we can get it through because without the changes that
18 I have just mentioned briefly it will not be possible to
19 live up to our commitments. Thank you very much.

20 MR. BARDEE: Thank you, Klaus. Commissioner
21 Honorable, questions?

22 COMMISSIONER HONORABLE: Thank you, Mike. And I
23 want to welcome our guests here and please know we are
24 delighted to have you as part of our annual reliability tech
25 conference. For our European colleagues, thank you Dr.

1 Dieter-Borchardt for continuing to grace us with your
2 presence and we've learned so much from one another. And we
3 were very pleased to host the European Commission here at
4 FERC. I believe it was last year and we executed an MOU
5 and we are honored to work with you.

6 And to our North American friends, I want to
7 welcome you back as well, and particularly, you Commissioner
8 Madrigal. And we have enjoyed cheering on our colleagues in
9 Mexico and we talked about this quite a bit in our last
10 annual reliability tech conference. And in fact, we moved
11 this session up because we don't want you to be the end of
12 the day because it's important, our work together. We've
13 really been very pleased with all of the work occurring in
14 Mexico with your ambitious energy reform, with standing up
15 the grid code. We cheered you own when you got through
16 your auctions and now to watch as you are standing up your
17 gas grid code and market. We know that we are
18 interconnected.

19 And I say the same thing to our Canadian
20 colleague. I mentioned to Mr. Hewson before we started that
21 I was just in Vancouver at the CAMPUT meeting. We were
22 there together. And we are also interconnected in our work,
23 both on the electric and gas side. And I'm particularly
24 interested in the work in Canada in developing your carbon
25 pricing scheme. I developed an international mentoring

1 program for women in the regulatory sector. And Rachel
2 Levine is, or was, my mentee, so I learned a great deal, I
3 know you know her, and learned a great deal from you all and
4 I wish you well with that effort.

5 In the interest of time because I had a
6 previously scheduled commitment, I will ask you one question
7 and Chairman LaFleur is kind enough to ask my other
8 question.

9 So I wanted to focus on our North American
10 colleagues first. You both have talked about the dynamic
11 shift in the energy mix and in particular the role that gas
12 is playing. I wanted to ask you to talk with us about your
13 gas/electric coordination efforts.

14 In particular, Mr. Hewson, I know you mentioned
15 the IESO Taskforce and the grid LDC Coordinating Committee.
16 Will you talk a little bit more about that? What is the
17 mission or goal of each? How do they work together? And
18 then I wanted to ask the same thing of the Commissioner?
19 Thank you.

20 MR. HEWSON: Yes, thank you for the question.
21 So first touching on the Gas and Electricity Integration
22 Taskforce, back in about 2005 or so, as we saw the increase
23 in natural gas as part of the electricity infrastructure, we
24 actually held a proceeding to look at how to better ensure
25 there was integration between electricity and the natural

1 gas systems.

2 Out of that, we focused on -- our rule was to
3 focus on issues around transportation, gas rules, and
4 storage gas rules and we implemented an actual first-of-kind
5 in Canada what's called the Storage Access Rule, which
6 defined particular considerations around more intermittent
7 or required services like gas.

8 While we were doing that, our IESO actually
9 decided that it should build a stronger relationship with
10 the gas distributors in Ontario, who operate all of the
11 high-pressure transmission system and deliver gas to all of
12 the different gas generators, so they've had that Taskforce
13 for probably about seven or eight years and it meets on a
14 regular basis. And what they do is they share information
15 between the distributors and the IESO to ensure that IESO is
16 building in any planning issues related to the gas
17 distribution system, upgrades to the transmission system and
18 consideration in terms of its forecast for how the gas
19 generators are going to be used.

20 As we've moved off coal, brought in more
21 renewables, the gas generation system has obviously taken on
22 a much greater role in terms of both reliability and meeting
23 peak demand and so there's been a lot more work there. The
24 LEC grid coordination work is something that the IESO
25 started just a few months -- well, maybe not even a year

1 ago. After having conducted a few pilots with different
2 utilities, learning about distributed generation and other
3 distributed resources like storage were impacting on the
4 distributor in flowing up into the system, they decided that
5 they should actually form a union with the -- we have 70
6 distributors in Ontario, some very small, a few somewhat
7 large, but they organized this so that they could start
8 building a dataset and better mechanism for sharing
9 information back and forth.

10 They have imposed requirements on large
11 renewables that are embedded distributors to actually start
12 providing reporting now and have done so for some time, but
13 they're now looking at the next level down below 500kwu.
14 They're looking to get deeper and deeper into the system.

15 COMMISSIONER MADRIGAL: Thanks Commissioner.
16 Yes, in Mexico, the growing investments in the gas
17 infrastructure are driven by the power utility, so from the
18 beginning there is some sort of coordination.

19 Now formally, at the planning level, we, at the
20 Commission, issue recommendations of both the transmission,
21 the power electricity plan and the gas pipeline plant since
22 we also approve the rates for the nation electricity grid
23 and the national pipeline, so I see the Commission as being
24 the facilitator of making sure the plants are efficient for
25 both systems together. So we have issued comments of making

1 sure gas and electricity coordination is conducted well,
2 especially in some areas where there may be competition
3 between gas pipelines and electricity infrastructure. We
4 have the ability to do that from the Commission.

5 At the operational level, there are actually
6 already some rules to manage gas alerts. You know in Mexico
7 demand still grows 3 to 4 percent and I think this year it's
8 going to be a record hit of almost 5 percent, so our issues
9 with gas were alerts. We consume all the gas we get and
10 four years ago we had some alerts on gas availability or
11 because of pipeline issues, so the power utility was able to
12 manage those alerts by voluntarily demand reductions.

13 Now moving to a market, those rules to manage
14 alerts have to be written in a way that are transparent to
15 everyone, so as part of the market operational rules because
16 we still have the issue of gas availability as some point we
17 may have, so we wrote those rules to manage gas alerts.

18 Going forward, as I said, we're working with the
19 gas system operator now to provide the gas operating rules
20 or the grid code for gas system. So I think our ability to
21 see what is happening in both sectors comes from the fact
22 that both systems are a federal issue in Mexico. We see
23 absolutely everything -- gas, electricity and we have the
24 authority to approve rates and to comment on the investment
25 plan. So the systems are growing and interconnected. There

1 are many things to be done still, but I think it's systems
2 that basically have grown side-by-side and we're just hoping
3 to continue like that.

4 Gas is very important for us, although we don't
5 have a lot of availability issues, in the areas where we
6 have lots of wind power, hydro, and gas combined cycle
7 plants have been key to respond to some variation issues
8 locally because of some transmission congestion, so we see
9 that gas will continue to be a clean, cheap fuel for the
10 transition, but we're actually phasing out the companies,
11 some fossil fuel burning because of gas prices. So it
12 happens to be a win/win. Gas will help with reliability and
13 is helping lowering electricity prices.

14 COMMISSIONER HONORABLE: Thank you both and
15 we'll continue to work well together; I'm certain of that.
16 And please know that you're all welcome here any time.
17 Thank you.

18 CHAIRMAN LA FLEUR: Thank you Collette. I'm
19 going to start by asking Dr. Dieter-Borchardt one of
20 Collette's questions, but I'll make it the first person
21 plural, I think.

22 We, too, think that we need a greater
23 flexibility in our markets to respond to the dynamic shift
24 in energy production and consumption. And her question was
25 what lessons learned can the European Commission share with

1 us as you've focused on this issue of managing the dynamic
2 supply and consumption.

3 And I'm particularly interested -- this me
4 speaking now -- in doing it with very little reliance on
5 natural gas, which seems to be the go-to fuel to balance
6 variable solar generation here in the United States in many
7 places. So I'm very interested in your experience there,
8 and then I'll ask your colleagues if they'd like to chime in
9 anything.

10 DR. DIETER-BORCHARDT: I think to have the full
11 answer you'll have invite me again once we are there because
12 we are now really in the transition towards the system. For
13 the moment, we have a clear base-load driven system that
14 does not differ so much.

15 We have the particularity in Europe that each
16 member state can decide on its own energy mix, which makes
17 our life, when you have to bring all these together at the
18 European, not easier.

19 CHAIRMAN LA FLEUR: We have much the same in
20 many parts of the United States.

21 DR. DIETER-BORCHARDT: So then you know what I'm
22 talking about. But anyway, what we are seeing is clearly
23 that flexibility on the generation side what will that mean.
24 I mean we will clearly go in Europe for very, very high
25 share of renewables and mainly intermittent renewables in

1 future. It will be, as I said, solar, onshore, and more and
2 more coming offshore wind and then you have some niche
3 products. I'm not talking about that.

4 So that will be the mainstream of our
5 generation. And in future it will be, in my view, backed up
6 mainly by very, very flexible power plant, CCGTs. There you
7 are coming back to gas and here you have the combination
8 coming back to the first question. It is not in Europe
9 without criticism because our problem with natural gas is
10 that we are dependent on imports, more than 50 percent we
11 have to import and our suppliers -- not all our suppliers
12 are the most suitable one.

13 I would say for business that is not policy
14 driven or even geopolitically driven, and I think you know
15 what I mean, but in my view, the role, if I come back to the
16 question before how we combine electricity and gas is more
17 that we try to develop technologies that are economically
18 viable to transform power to gas and using this. That's one
19 of the fields where we come together.

20 On the pure flexibility, as I said, generation
21 it will be highly intermittent renewables backed up with, in
22 my view, nuclear and this flexible gas-fire power plant. If
23 there's other power plants that have the same flexibility
24 and we had discussions recently in China. The Chinese they
25 are working on very flexible coal-fired power plants where

1 they can even meet our emission performance standard, they
2 say. Then of course, that could be an option for those
3 countries that are staying within.

4 On the other side, on the demand side, the
5 flexibility here we see in Europe huge potential. If you
6 look at it, currently, we are only taking in 21 gigawatt on
7 demand side management. If we implement our proposals on
8 demand side management price-based and incentive-based, we
9 can go in 2030 to 160 gigawatt, so there is a huge potential
10 also on that side really to bring this flexibility to the
11 market.

12 CHAIRMAN LA FLEUR: I'd like to ask Mr. Hewson
13 and Commissioner Madrigal if you'd like to chime in anything
14 on that question or I'll move on.

15 COMMISSIONER MADRIGAL: What I think has been
16 interesting for us is the discussion of when and what
17 solutions do you need now for your level of penetration.
18 What we're seeing in Mexico is that we could reach 10
19 percent of variables so quickly, like in one to two years,
20 that we need to know what we need to do faster than, for
21 example, -- in Europe, so not all countries can reach higher
22 levels of penetration faster, so we need to implement the
23 solutions faster. On that we're just learning from
24 experience and learning from you, from Europe. And looking
25 ahead, we're actually collaborating with -- to perform a

1 North American integration study to see what would be the
2 solution for higher levels of penetration.

3 We do have some issues in an isolated area of
4 the country -- very small, 200 megawatt system that is
5 insulation. We set up a limit in that region and the limit
6 was reached almost at the moment the rule was issued because
7 it's so attractive solar power in those parts of the
8 country, so we're working with the utility on reviewing if
9 that limit is consistent or not with the practices we know
10 you can implement already. So the issue of when and how
11 fast you need to implement solutions is becoming an issue
12 for us because we can do it faster, so what solutions do we
13 need to put into table faster so we're learning from doing.

14 MR. HEWSON: I think all I would add is that as
15 we implemented our coal phase out we did turn to gas. We
16 have very good gas assets in the province and had always had
17 a history of gas plants as one of the key sources. So we've
18 put resources in place. What the government has committed
19 us to look to do is to work with the distributors, the
20 transmitters, the generators and mostly with the demand
21 management community to work to make sure that we don't
22 need to build any more plants.

23 So we're now in the province much more focused
24 on a DR auction that is going very well. Our smarter
25 pricing we've rolled in smart meters across the entire

1 province, implemented time-of-use pricing and we're now
2 looking at models that would make even more dynamic pricing
3 models put in place. So we've really got to the point where
4 we're saying we're not going to -- we don't forecast
5 needing to build new gas plants. What we're looking at is
6 making sure that we keep up with the renewables.

7 CHAIRMAN LA FLEUR: Thank you.

8 It's really quite striking listening to all of
9 you because you're going through a lot of the same
10 challenges that we are and the same phenomena of
11 transformation, although at a different pace and with
12 national goals, whereas we're coping with the additional
13 dimension of having different climate goals in a lot of the
14 different states, which is an interesting feature right now.

15 I wanted to also ask Dr. Dieter-Borchardt a
16 question about just your -- one of the last things you
17 mentioned was the coordination between the distribution
18 system operator and the transmission system operator and
19 that's something we've been talking about as we see
20 potentially more distributed resources, starting in
21 California, but in other parts of the country as well
22 getting into the wholesale -- aggregating and getting into
23 the wholesale market and how do you coordinate what they're
24 paid in the distribution market versus what they're paid in
25 the wholesale market and also how do you coordinate

1 operationally between the control centers?

2 And I'm interested in any lessons that you've
3 learned. I know Germany, for example, has had an extremely
4 rapid growth of distribution-connected resources and
5 anything we should take from that as we figure out how our
6 distribution centers and transmission centers should talk to
7 each other.

8 DR. DIETER-BORCHARD: Well, unfortunately, you
9 refer to Germany. Yes, it's true there we have almost 900
10 distribution system operators, very small ones even and
11 serving less than 100,000 customers. So I don't think that
12 that's the model that you should follow, but until now I
13 must say the distribution side was left out of our
14 development of the energy system; but as I have said
15 already, now bringing massive renewables into the
16 distribution grid now we have to deal with that. We have to
17 deal with that to also reformulate the roles of the
18 distribution system operators. We have to give them access
19 to the flexibility because they have the first go on all the
20 energy that is coming into their grid. And then because
21 again we do not -- as in Ontario, we do not also want to now
22 go for a copper plate. We also want now then to have the
23 cooperation between DSOs and TSOs so to bring then this
24 energy up to the transmission grid.

25 And what we are proposing now, so I cannot give

1 you the results, but what we are proposing now is, first of
2 all, at the European level we have already a very strong
3 European organizations, not lobby organizations,
4 institutions representing the TSOs in gas and electricity
5 and we have no such structure for the DSOs and that's what
6 we are proposing now. We are proposing to establish not
7 exactly in the same way, but similar to the GSOs, a DSO body
8 at EU level. That's the first step.

9 And the second step then is, as I said, we are
10 also tasking the platform that both organizations then have
11 to build. We are tasking them with the different tasks
12 where we then not dictate how they should implement then the
13 cooperation, but we say on which fields they have to
14 cooperate. For instance, data management they have to do,
15 then the integration of the renewables, the planning and
16 managing.

17 Cybersecurity these kinds of issues they have to
18 work out codes and guidelines where necessary, demand side
19 management the same thing. So all this they have to work
20 out then in future from this platform and then it goes
21 through the normal process. So it is a structural approach
22 and task approach, but selected tasks.

23 CHAIRMAN LA FLEUR: Thank you.

24 I wanted to turn to our colleagues in North
25 America here. Of course, Mr. Hewson, Canada's been a part

1 of NERC since its creation and we run an integrated grid.
2 And Commissioner Madrigal, I know you recently signed a
3 Memorandum of Understanding with NERC and have become more
4 and more integrated with the NERC work. And by the way, I'm
5 just struck by the fact that you're doing in Mexico things
6 that it took 20 years here from opening the grid to setting
7 up the market to introducing competition in transmission and
8 everything in such a short time. It's just quite
9 impressive.

10 I'd like to turn back to the conversation we had
11 in the session before and ask Mr. Hewson and Commission
12 Madrigal what you're looking for from NERC as you go through
13 this transformation? We're all going through an energy
14 transformation, but how this NERC and energy reliability
15 enterprise can help and anything you want to contribute on
16 that topic because we see you as partners in this topic
17 we're working on today.

18 COMMISSIONER MADRIGAL: Yes, thank you.

19 I think for us cooperation is very important.
20 We learn a lot. Our energy systems are more and more
21 integrated. Of course, they are more integrated in the gas
22 and liquid fuel sector, but what integrated in gas --
23 basically, what integrated in electricity is 40 percent of
24 our production is from gas, so without recognizing that even
25 at the ministerial letter Mexico signed with the DOE this

1 general principle for promotion the reliability, then we
2 with the system operator and NERC sign them and will --
3 understanding we were already receiving lots of very
4 valuable feedback from NERC. You know practices on
5 reliability, sitting a standard, how to supervise, and
6 basically the objective of this memorandum is to exchange
7 experiences on physical infrastructure protections,
8 cybersecurity operation and planning. So it was just
9 basically for us a new step in the relationship because it
10 has been so useful.

11 One of the areas that I see of importance going
12 forward is with the opening of the power market in Mexico we
13 see a lot of more interesting trading across borders. We
14 have a historical interconnection with California and their
15 collaboration has proven there it's always beneficial to
16 both parties if we have common rules, common reliability
17 standards. There in California we use many of the WEC
18 standards. So going forward, I just see our two markets
19 deepening a lot. We have many hearings at the Commission
20 with in depth opinion from the U.S., from the different
21 states trying to build transmission infrastructure to trade
22 energy to Mexico.

23 So we need to, I would say, work a little bit
24 more closely on cross-border capacity location, transmission
25 rights, and of course, reliability standards as integration

1 gradually grows in other states. So I think it's just a
2 natural progression similar to what you have seen in Mexico.
3 But I just wanted to stress that the relationship has been
4 very, very useful so far here.

5 CHAIRMAN LA FLEUR: Thank you. Mr. Hewson?

6 MR. HEWSON: Thank you. So I would second
7 Commissioner Madrigal's point about inter-ties. I know that
8 as we look the planning that the IESO is doing for Ontario
9 the inter-ties play an incredibly important role both ways.
10 You know we're an importer and exporter every year. And as
11 we look at developing the renewable -- greater renewable
12 energy in the system that becomes even more important for
13 both sides, for New York, Michigan as they're developing
14 their climate goals and they're implementing their new
15 policies we want to be able to make sure that we work well
16 together.

17 So I hope and understand from my colleagues at
18 the IESO that NERC is taking those things into consideration
19 and is considering the need for good flexibility across the
20 systems to be able to integrate the changes in the way the
21 supply situation is working. I think going forward the DSO
22 side of things is going to become more critical for -- I
23 know our ISO is much more closely working with them. I
24 think that will slowly work its way up and there's going to
25 be more coordination across those systems.

1 And I guess I would say, as an economic
2 regulator, we're always looking for the standard-setting
3 body to be taking into consideration that care about the
4 costs of compliance, the cost of implementing new standards,
5 recognizing that as the supply changes there are new cost
6 pressures in the system, either from the renewables
7 themselves or the different systems that have to go into
8 place like storage to be able to make sure that you can
9 manage that. And so we're constantly, as the regulator,
10 looking to make sure the system is as efficient as possible.

11 CHAIRMAN LA FLEUR: Thank you. I want to turn
12 it back to Michael, who actually has some recent experience
13 in the European Union on an assignment, so I'm sure you'll
14 get some staff questions.

15 MR. BARDEE: On my assignment, I was actually
16 reporting to Klaus Dieter, so now it's payback time. And I
17 actually do have a question for you, sir.

18 As you may know, in our country one of the
19 issues we are facing now here at FERC is how to balance
20 preferences of states to manage their resource portfolios to
21 make their preferences known on generation and other
22 resources, how to balance that with having regional markets
23 and not having those markets distorted by the inputs by
24 individual states.

25 You described briefly your proposal on capacity

1 mechanisms, which are, in sense, are tools used by member
2 states have to integrate in some way with the regional
3 cross-border markets that you're hoping to encourage. Can
4 you talk about how that proposal is fairing so far?

5 DR. DIETER-BORCHARDT: Yes, thank you very much.

6 This does not necessarily mean if you have the
7 energy mix left to the member states and you create a
8 regional market that this is distorted. It becomes
9 distorted when the member states put money into the
10 development of one or the other technology and that is the
11 point because you can have different energy mix in a region.
12 Here a region means different members states together in a
13 region and each member state has a different energy mix.
14 This can perfectly work and we have the rule to make it
15 work, but the biggest enemy is the state intervention in the
16 national context, which then, of course, has a direct impact
17 on the regional market and that's we have revisited the
18 support schemes for renewable. I tell here example Germany.
19 By the way, Ms. LaFleur, that's maybe a lesson learned not
20 to repeat, what the Germans did. They were successful to
21 boost renewables, but at the price that no other country can
22 afford, so -- tariffs 20 years at a very high level is not
23 the way to go.

24 We have changed the system. There is no feed in
25 tariff any more allowed, so renewable support scheme have to

1 be market-based. They have to be auctioned and the price
2 has to be tested through the market. So this is on the
3 support scheme.

4 You mentioned the capacity mechanisms. It is a
5 subsidy scheme, not doubt about it. That's the reason why
6 we have said first the necessity has to be established at
7 the regional level, not at the national level. Let's assume
8 that you have in the Country A you have an adequacy problem,
9 but next to it in the Country B you have a mothballed
10 gas-fired power plant. It is not invented Belgium/Holland.
11 Belgium has an adequacy problem because they have problems
12 with their nuclear plants.

13 Next, 16 kilometers from the Belgium grid, there
14 is a mothballed Dutch gas-fired power plant, so use it, make
15 the connection, and use it. Here we had struggled with the
16 Belgium government because they said, no, we don't trust the
17 Dutch, so we want to have our strategic reserve. So all
18 this comes in, but here, of course, that's the role of the
19 Commission then to go into that and saying, look, this is
20 the kind of state intervention that we cannot accept because
21 let the market work. Because if you have the connections
22 and you use all the potential of the regional market, then
23 you get very, very good results, cost-efficient results, so
24 adequacy assessment for the capacity mechanism regional
25 level.

1 The other issue is there cross-border
2 participation. So if they are allowed to design a capacity
3 mechanism, it cannot stay national so others can offer
4 because they have to tender. These are the elements that we
5 are, from the European level, bringing into avoid the risks
6 that you rightly pointed to, that if you have this -- every
7 country has its champion and is going for it and supporting
8 it that would have a devastating effect on regional market.
9 So therefore we have a very strong state supervision by my
10 colleagues from DG competition. You all have certainly
11 heard about of them, so that's one of the tools.

12 And the other we are doing through the energy
13 policy that we are trying to Europeanize support schemes
14 whenever they are necessary and we are going for regional
15 assessments instead of national assessments.

16 MR. BARDEE: One other question on a different
17 topic then for any of the panelists. One of the issues that
18 we have done some work on and may have more to do is as
19 renewables continue to grow on our system we've tried to
20 ensure that they are contributing the services that other
21 generators provide, whether it's a primary frequency
22 response or voltage or other services so that at an
23 appropriate time and in appropriate way they are asked to
24 bear their share of the burden just like other generators,
25 and I wonder how you all are doing with that issue.

1 MR. HEWSON: Certainly, at the transmission
2 level the IESO has been working with the large transmission
3 connected wind facilities to look at increasing their
4 ability to provide some of those services. At the
5 distribution level, I think that's the next area that we're
6 going to get into. Right now they've connected. The
7 distributors have really taken on the role of upgrading
8 their systems to be able to make sure that they can manage
9 the effect of the renewable energy on the system. So I
10 think it's an area that we're going to get into more,
11 certainly being talked a lot about in Ontario, the need to
12 make sure that all generators are providing the same types
13 of services.

14 COMMISSOINER MADRIGAL: On the technical side,
15 what we did as part of the first sort of independently set
16 grid code, we review what has been Germany and Spain and the
17 U.S. and there are very specific technical requirements on
18 low voltage, ride-through capability, frequency response.
19 So from the beginning we already included some of those more
20 than requirements for large scale facilities because the
21 experience of the past 10 years was that, yes, we need to
22 improve. You know we had some all-induction machines, so
23 we're moving to new technologies.

24 On the technical requirements also of the
25 distributive level, we have a back-and-forth with the

1 utility with regard to inverters, so the issue of smart
2 inverters. So we had a long discussion what is a smart
3 inverter. Are you going to be able to use it where we ask
4 the solution utilities, so the utilization part of smart
5 inverters and the abilities you have to send signal I think
6 it cannot be overlooked because we say we put all these
7 requirements are you going to be able to use them or not.
8 So we reached to a compromise in which we set some smart
9 inverter light requirements for distributed generation
10 resources in terms of the frequencies they have to stay
11 connected or disconnected from the system, but I think the
12 distribution level is going to be a learning process because
13 not all distribution utilities are at the same level of
14 maturity to use those technologies. Some utilities we saw
15 in Mexico were struggling on how to understand then
16 metering, the rule. How do I calculate the bill? How do I
17 send the calculation, basic stuff? So when you move to the
18 -- of the controls, it becomes a little bit more complex.
19 So I really think, as our colleague from Germany, we need to
20 work more on making sure distribution utilities work
21 together to understand this new world in a more organized
22 way because I think that's definitely a challenge.

23 On the commercial side, and although we're
24 really moving really fast with the reform, on the pricing on
25 ancillary services, they celebrated the work we were doing

1 on pricing, especially frequency response and reactive power
2 because we have seen a tremendous interest of consumers to
3 install storage, even medium scale. And you know for
4 storage to say I want you to recognize the value I'm
5 providing to the system. So we're thinking more
6 realistically on how we should price ancillary services, so
7 that any device if it is a storage or if it is a wind or
8 solar plant is priced accordingly, so we haven't finished
9 that yet. So we are working and I just thinking on how to
10 do it so that the value provide by storage or wind or solar
11 is recognized regardless of what technology is providing the
12 service. So there we still have a pending task and we're
13 trying to just learn as much as we can.

14 DR. DIETER-BROCHARDT: We as well. We are going
15 first and foremost to the DSOs for the reasons that I have
16 mentioned. Most renewables go into the distribution grid.
17 That's why they need to have the access that they currently
18 do not have to the extent necessary. But next to it, we
19 want also to develop a market for our ancillary services so
20 that we do not see that DSOs should have an exclusive right
21 in providing these services.

22 Certain, yes, those are anyway covered by our
23 network codes, but other services can also be provided
24 through the market and therefore we are also very keen to
25 develop certain ancillary services over the market and then

1 the rest producers, of course, they have to pay for it
2 because they remain responsible if they cannot. And they
3 cannot carry out this task themselves. They have to
4 purchase the services over the market or if they get it from
5 the DSOs, then of course it is included in the fees.

6 MR. BARDEE: Okay, so let me thank our three
7 panelists and we really do appreciate your being here today,
8 coming farther than anyone else on our agenda today. We
9 thank you. And we'll come back at hour from now, 1:35.

10 (LUNCH BREAK)

11

12 MR. BARDEE: Thank you everyone. We are back
13 for Panel Number Three headed as the Potential for Long-Term
14 and Large-Scaled Disruptions to the Bulk-Power System. So I
15 will start us off with our panelists, starting with Mark
16 Lauby from NERC. Mark, please take it.

17 STATEMENT OF MARK LAUBY

18 MR. LAUBY: Thank you and good afternoon. I
19 wish to thank the FERC Chair and of course Commissioner
20 Honorable and the staff for holding the Reliability
21 Conference.

22 At no point in modern history has the
23 electricity sector experience a period of such revolutionary
24 change. As to the theme of this panel, avoiding long-term
25 and large-scale Bulk Power System disruptions is at the

1 heart of what NERC's mission is. In fact, NERC and the
2 regional entities work with industry every day to identify
3 risks to reliability, prioritize actions, and implement
4 mitigations.

5 NERC uses a number of mechanisms for risk
6 identification and mitigation. For example, the Reliability
7 Issues Steering Committee identifies, prioritizes, and
8 recommends mitigation of high and medium priority emerging
9 risks. Some of the indentified risks include the changing
10 resource mix, loss of situation awareness, extreme natural
11 events, and cyber and physical security vulnerabilities.
12 I'd like to focus on two issues related to the changing
13 resource mix, distributive resources and single points of
14 disruptions.

15 As Gerry mentioned earlier, the ERO Enterprise
16 continues to scan the system for information that its
17 collects for looking for faint signals, finding and
18 addressing small risks today so that they don't become a
19 bigger one tomorrow and this is, of course, evidenced by our
20 recent technical report in the alert and affordable --
21 generation.

22 NERC will continue to scan for affects on the
23 Bulk Power System, including monitoring the proliferation of
24 distributive energy resources. We will focus especially on
25 the changes in system characteristics and ensuring that

1 there are sufficient amounts of essential reliability
2 services.

3 Secondly, suspending the supply of natural gas
4 in the Aliso Canyon storage facility is a good study case on
5 the vulnerabilities at the intersection between electric and
6 natural gas industries. As an in depth review of this risk,
7 NERC is completing a study on single points of disruptions,
8 recommending, first, FERC run gas transportation as a
9 reliable supply mechanism; secondly, periodic verification
10 of dual fuel capability and availability. I understand it's
11 getting harder and harder to build dual fuel plants; ability
12 to obtain air permits or waivers to them anyway and increase
13 planning activities, contingency analysis, and operational
14 coordination between the two sectors.

15 I'm going to transition a little bit to
16 resiliency. System resiliency is becoming an enhanced
17 yardstick for reliability and I will cover resiliency in the
18 context of two additional risks, one being extreme natural
19 events and the second the loss of situational awareness.
20 FERC, NERC, and regional entities are actively working
21 together jointly on resiliency. In 2016, FERC and the ERO
22 Enterprise jointly issued a report reviewing the sampling
23 of industry restoration recovery plans. The report
24 concluded that the plans were thorough and highly detailed
25 and included 15 recommendations.

1 As a follow on to that study, a recent study was
2 completed looking at the loss key situation awareness
3 capabilities and how they may impact system restoration.
4 Restoration activities that maybe difficult without these
5 capabilities were identified, along with provided
6 recommended methods, practices, and training.

7 Another example is the mitigation from the
8 affects of space weather. In response to the Commission's
9 directives, NERC developed two standards to address risks
10 from geomagnetic disturbances. The first standard requires
11 entities to have operating procedures that mitigate
12 potential grid risks from geomagnetic disturbances. The
13 second standard requires system planners to address risks
14 from geomagnetic disturbances in system design and
15 operation.

16 Further, NERC recently submitted to FERC a
17 preliminary research work plan requiring an extensive
18 multi-year effort using scientific and technical expertise
19 from a variety of disciplines.

20 So in conclusion, and I know that's what you've
21 been waiting, NERC's leadership role is essential to
22 maintaining a focus on conventional risks, while
23 anticipating emerging risks during a period of revolutionary
24 change to the electricity sector. By putting a spotlight on
25 key risks and their mitigation, working with industry and

1 with all our stakeholders, the ERO Enterprise endeavors to
2 ensure a highly reliable and secure Bulk Power System.

3 So thank you for the opportunity to address
4 these important topics and I look forward to discussions.

5 MR. BARDEE: Thank you, Mark. Next, we have
6 Dede Subakti from the California ISO.

7 STATEMENT OF MR. DEDE SUBAKTI

8 MR. SUBAKTI: Thank you. First of all, my name
9 is Dede Subakti. I'm with the California ISO. Thank you.
10 Very honored to be invited to the nerd and geek party and
11 I'm very proud to be a geek myself. And of course, it's
12 really hot here today, but it is much nicer than being in
13 California, where it's actually 110 degrees.

14 So today, I really only have two remarks really
15 and the first one being the gas/electric coordination and
16 we've been talking about Aliso Canyon since, what, it feels
17 like forever now and the need to recognize how gas and
18 electric coordinations and the need how to recognize gas
19 constraint in the electric system itself. And the second
20 portion is about the emerging issue relating to the
21 inverter-based resources, the one that we've just been
22 talking about with regard to the Blue Cut fire.

23 Really, each of these topics underscore the
24 importance of a balanced portfolio, a balance resource mix
25 that can provide essentially reliable services to support

1 operation of the Bulk Power System. So let me go to the
2 first topic with the limited operations with Aliso Canyon.
3 It's a concern for both gas customer as well as electric
4 customers simply because that gas curtailment through
5 generators could or may result in electric customer
6 interruption.

7 So in the past few months, I myself, learned how
8 important it is to have a robust coordinations between
9 regulatory authorities within the state agencies as well as
10 with the operating entities, so I made good friends with my
11 peer at the SoCal Gas and working closely together as we're
12 developing a lot of operating procedures with regard to
13 outage coordination, for example, between the gas outage and
14 transmission outage and generation outage. Day-ahead
15 planning, that's another one and real time operations.

16 We actually learned quite a bit about how each
17 other do our business. That's very interesting and very
18 crucial. Really, life is never the same again in California
19 with the limit operations in Aliso Canyon.

20 Now last year the Commission actually authorized
21 California ISO to implement various mitigation to address
22 this very issue. One of the mitigation measure that worked
23 quite a bit is the utilization of new constraint in the
24 California ISO market. What it is, is that a constraint
25 that is put into the market optimization to reflect gas

1 limitation in the way that we dispatch our generations. It
2 works really well. We used it in the past winter when it
3 was really cold and it works in coordination with SoCal Gas
4 System.

5 The authority to use this constraint is actually
6 expiring at the end of November 2017, so currently
7 California ISO going through stakeholder process to explore
8 the extension of this authority in a more permanent basis
9 and we also exploring the need and benefit to expand the use
10 of this constraint beyond just Southern California, such as
11 maybe in the western energy and balance market, the EI
12 market.

13 So really based these lessons, we really request
14 or encourage Commission staff to support and continue the
15 efforts to look at the transmission service provider,
16 transmission operator, market operator to implement adequate
17 tools to mitigate gas system constraint in order to be able
18 to operate the electric system reliably. We also believe
19 that we should continue to foster coordination between
20 electric and natural gas transmission operations. It's very
21 important. We learned that we rely on each other quite a
22 bit.

23 So while we have made significant improvement in
24 gas and electric coordination, Aliso Canyon underscored a
25 need for a balanced portfolio of resources and

1 infrastructures to help ensure BAs, such as California ISO,
2 so we do not overly rely on one fuel source to meet our
3 system need and can adjust to changing operating
4 conditions.

5 While that's good, we have solar-inverter,
6 solar. We have over 10,000 megawatt of transmission credits
7 of capacity. In the past few months, we learned that we have
8 a 1200 megawatt and that's just one event of many. So we
9 have joint taskforce and in the report look for two risks in
10 there. And based on these lessons learned, we believe it's
11 important to have a standard, a reliability standard or
12 clarifications of the reliability standards for the ability
13 to ride-through voltage and frequency disturbance.

14 So at this time, I would like to conclude my
15 remarks and thank everybody for allowing me to share these
16 remarks and I'll be open and happy to answer any questions.

17 MR. BARDEE: Thank you DeDe. Next, we have Dr.
18 Michael Kelly Rivera from Los Alamos National Lab.

19 STATEMENT OF DR. MICHAEL KELLY RIVERA

20 DR. RIVERA: Thank you. So David Ortiz and John
21 Ostrich of DOEE and Eric Rolickson (ph) at DHSOCHI jointly
22 initiated a research project at Los Alamos National
23 Laboratory. The project's intent is to understand and model
24 the impacts of an electromagnetic pulse generated by the
25 detonation of stockpile nuclear devices on the transmission

1 and generation aspects of the U.S. Bulk Power System. The
2 ultimate goal of this research to build the knowledge and
3 understanding of nuclear MPs and their interaction with the
4 BES that is necessary to develop a scientific workflow
5 similar to TPL007-1, whereby the resilience of the USPES,
6 the nuclear EMP can be evaluated.

7 At the outset, constraints were established for
8 this scientific workflow. We would only consider a nuclear
9 MP insult an event of concern if it causes two affects.
10 The first is long-term damage to the BES requiring in excess
11 of three days to repair and the second is that an impact of
12 a significant portion of the BES resulting in an excess of
13 \$4 billion a day in loss economic activity to the United
14 States.

15 We've completed the first two phases of this
16 work and these phases, nuclear EMP insults were
17 parameterized. You can see the parameterization on the
18 second slide of the set of slides you have in front of you
19 and a list of benchmark events also on Slide 2 covering this
20 parameterization we've generated. And we've begun to
21 determine which of the benchmark insults were most likely to
22 rise to the threshold of the study constraints.

23 I'm going to jump straight to discussing the
24 five benchmarks XO atmospheric nuclear EMP insults that are
25 enumerated in the handout. I want to stress these benchmark

1 events do not correspond to any particular nuclear weapon or
2 weapon delivery capacity. If they did, I would be leaving in
3 an orange jumpsuit. Rather they have been chosen to clearly
4 delineate regions of interest where certain EMP effects, for
5 example, the E3 heave or the E3 blast or the E1 phase of the
6 first are dominate.

7 I'm not going to go into the extreme detail on
8 each of these benchmark events. Their expected impact to
9 the BES is shown in the table on page 2 based on our current
10 and previous studies. I want to note that there is a slight
11 error in the table. The impact from the 25 kiloton 100
12 kilometer case should read a medium with a 200 kilometer
13 case reading high. We'll get to that if you ask questions
14 later.

15 I'm going to stress two important points about
16 E1 that we are finding in our analysis and back those points
17 up with data that is presented later on in the later pages
18 of the handout. The first point that I'm going to stress is
19 not a new observation, but it certainly is an observation
20 that is not advertised well enough. Those of us familiar
21 with EMP know about smile diagrams very well. A smile
22 diagram is a general form for the radiated hazard field
23 present in the E1 part of the electric magnetic pulse
24 created high altitude EMP insult.

25 The E1 smile diagram for our five benchmark

1 cases is shown on the third page of the handout. Naively,
2 one might assume that where the electromagnetic pulse is
3 strongest the largest currents will be generated on cables
4 and lines. This line of thinking leads to worst-case values
5 of coupling, the worst-case current peaks, as shown on the
6 next figure or the next page.

7 If we look at the table to the upper right
8 reporting magnitude, for a few of these benchmark events the
9 pulses can exceed a megavolt in size if we think about the
10 coupling this way. This coupling, however, is completely
11 wrong. The efficacy with which the E1 component of EMP can
12 couple cables and lines is determined by more than just
13 magnitude. It's determined by the phase angle of the
14 electric field as well as a bunch of other things.

15 When these constraints are incorporated, the
16 realistic coupling hazard is shown on Figure 5. I'm not
17 going to go into extreme detail, but the important point to
18 take from this is that the magnitudes of the fields are now
19 down by a factor of 3 in some cases and even more. So the
20 important point to draw from this is the necessity to have a
21 complete workflow that incorporates all of the elements from
22 one phase to another. You cannot just simply hand off the
23 magnitude and expect the engineers to do coupling without
24 any sort of context and without any sort of other
25 constraints.

1 And the second point I want to make is about the
2 konus covering EMP event. For our benchmark events, this
3 corresponds to the 400 kilometer burst altitudes. The peak
4 radiated hazard fields and conducted hazard fields drop off
5 precipitously at these altitudes. For the 25 kiloton case,
6 in fact, the radiated hazardous fields dropped by almost a
7 factor of 5.

8 We are not ready at this point to conclude that
9 this means that the konus covering events are of absolutely
10 no concern, but we can say that the lower altitude burst
11 events, though affecting a smaller area, have a
12 significantly higher chance of damaging BES equipment within
13 the area that they affect. Thank you.

14 MR. BARDEE: Thank you, Dr. Rivera. Next, Dr.
15 George Baker.

16 STATEMENT OF DR. GEORGE BAKER

17 DR. BAKER: I want to thank Chairman LaFleur and
18 the other FERC Commissioners for the opportunity to speak
19 today. I'm a senior advisor to the Congressional EMP
20 Commission. I'm filling in today for Mr. Earl Gjælde who is
21 the former COO of Bountiful Electric Power Administration
22 and Undersecretary of the Interior and he regrets his
23 inability to attend.

24 I want to discuss EMP together with cyber and
25 physical threats, the EMP Commission, the charter we're

1 looking at all three affects, the combined affects and what
2 I want to do in the time I have is discuss a vision for the
3 future where the power systems will be able to operate
4 through, will recover quickly from these what we call triple
5 three contingencies. And there's a huge possibility of
6 common ground here. If you look at what the industry is
7 striving achieve and what the EMP Commission there's a huge
8 overlap and just stress that.

9 So the first point of the vision is that the
10 industry and government would be working together to achieve
11 the resiliency to these combined affects and private public
12 partnerships are essential and there's already some very
13 good examples of these in force. The infragard, the EMP
14 special interest group and several public/private national
15 exercise -- Army War College, National Defense, University
16 NARUC and U.S. National Guard Association is examples.

17 Also, another good example of late is Duke
18 Energy is working with state and local infrastructure
19 service providers and emergency responders at Lake Wiley to
20 develop a plan for EMP protection.

21 Now the U.S. Military has proven EMP protection
22 approaches that can be translated directly to a large part
23 of the grid infrastructure. And I'm concerned and
24 disappointed because there's been inadequate sharing of the
25 DoD insights with the power industry and DOE and EPRI and as

1 a result there's a lot of work that's being done that's
2 really reinventing things that were already known and that's
3 a problem. That's going to complicate the playing field.

4 The second point in the vision is the electric
5 utilities is able to recapture the cost for protection. And
6 here I'm not going to go into any detail because Tom Popik
7 will cover this.

8 Third, we need better models, national-level
9 models of grid affects and recovery steps and I think Los
10 Alamos is already onto this, but in order to have priority
11 system hardening, safe shutdown, and expedient
12 reconstitution we need better models and model development
13 will be greatly aided if industry historical databases are
14 made available to us. We have also yet to perform test to
15 failure validation for large transformers and generator
16 stations. That'll be every important to know where these
17 things actually failed.

18 Fourth, a vision point is a coordinated national
19 level Black Start Plan and resources that are exercised on a
20 regular basis. We have Black Start plans mandated for
21 limited blackout contingencies, but there's presently no
22 national plan addressing restoring the grid following a
23 large, long-term outage. A big difference between a normal
24 Black Start, if you want to call it, and a long-term outage
25 Black Start is the absence of functioning neighboring

1 regions. So when you get into local preparedness, it
2 becomes all the more important there.

3 Also, the communication assets used under normal
4 conditions will likely not be available due to EMP and GMD
5 affects, such as land mobile radios and UHF SATCOM maybe the
6 only communications available and these constraints need to
7 be included in planning and exercises.

8 And finally, we need -- and this is a point that
9 Commissioner Gelde (ph) wanted me to stress that the
10 FERC/NERC Consortium is not set up administratively or
11 legally for national security problem resolution. And we
12 believe on the Commission that a national electric power
13 protection executive is needed, reporting to the National
14 Security Council and that executive should be vetted with
15 the authority to establish protection and assessments
16 guidelines.

17 So those are the points. That's the vision.
18 And I hope that this will help focus our efforts to protect
19 the grid. Thank you.

20 MR. BARDEE: Thank you, Dr. Baker. Next, we
21 have Dr. Randy Horton from EPRI.

22 STATEMENT OF DR. RANDY HORTON

23 DR. HORTON: Thank you, Chairman LaFleur,
24 Commissioner Honorable, FERC staff, and fellow panelists,
25 EPRI appreciates the opportunity to participate in today's

1 technical conference. So my comments here today are going
2 to address the question that was posed to the panel
3 regarding manmade electromagnetic pulse. I will provide a
4 brief overview of the work that we're doing as well as some
5 of the knowledge gaps we're attempting to address with our
6 research.

7 So April 2016, EPRI initiated a three-year
8 research project to address the potential threat of how
9 altitude to the resiliency and reliability of the Bulk Power
10 System. And today I'm pleased to say that the project has
11 financial support from nearly 60 U.S. electric utilities.

12 I will refer you to my written comments
13 regarding the details of our research plan, but the primary
14 objectives of the plan are, one, improve understanding of
15 the potential impacts of altitude to EMP and we're looking
16 specifically at E1, E2, and E3 on the Bulk Power System
17 through extensive laboratory testing and computer-based
18 modeling; secondly, develop software tools, techniques, and
19 guidance that could be used by utilities and others to help
20 assess the potential impacts of HEMP on individual assets
21 and the Bulk Power System as a whole; three, to develop
22 cost-effective options to help mitigate the potential
23 impacts, and fourth, to provide timely communication of our
24 research findings to our supporting members and
25 stakeholders, as appropriate.

1 Through our collaborative research model, EPRI
2 is bringing together experts in electric power systems as
3 well as those versed in the phenomenology and effects of --
4 EMP to improve threat assessments to the Bulk Power System.
5 For example, we're working closely with the Department of
6 Energy, Lawrence Moore National Lab, Sandia National Lab,
7 and Los Alamos National Lab, which I can say Mike and I've
8 become close friends over the last year or so. And we're
9 also in communication with other agencies, such as FERC,
10 DHS, and the Defense Threat Reduction Agency or DTRA.

11 I will now quickly transition to our E3
12 assessment that was published in February of this year. Due
13 to concerns expressed over the potential loss of a large
14 number of bulk-power transformers which could lead to a
15 long-term blackout, an initial focus of our research was to
16 determine the potential impact of E3 on these assets. The
17 EPRI Study evaluated the potential impacts of E3 from a
18 single altitude nuclear detonation over 11 different
19 national target locations in the continental U.S.

20 Details of the study are provided in my written
21 comments, but in short, the results of our study indicate
22 that although a significant number of bulk-power
23 transformers could experience GIC levels above 75 amps per
24 phase or more, and that's the screening criteria that's in
25 CPL7. Only a small fraction, 3 to 14, depending on target

1 location evaluated would be of potential risk of thermal
2 damage.

3 These results can be used to help quantify the
4 overall risks of E3 impacts on the Bulk Power System, but I
5 want to stress that they should not be interpreted to
6 indicate that E3 will not affect Bulk Power System
7 reliability. The potential for widespread outages due to
8 voltage collapse and the combined affects of E1, E2, and E3
9 together are still being evaluated. Although, the E3
10 research is continuing, a significance focus of EPRI's
11 research efforts in 2017 and beyond are related to assessing
12 the threat posed by E1 and E2 and developing the capability
13 to evaluate the combined affects of E1, E2, and E3
14 simultaneously. We believe that the latter capabilities is
15 vitally important in understanding the true impacts of HEMP
16 on the Bulk Power System.

17 In conclusion, the potential impacts of HEMP are
18 real; however, there are many open research questions that
19 need to be answered before risk-informed decisions related
20 to hardening and mitigation can be made. EPRI is committed
21 to developing science-based solutions to these difficult
22 problems and will continue to offer technical leadership and
23 support to the electricity sector, public policymakers, and
24 other stakeholders to enable safe, reliable, affordable, and
25 environmentally responsible electricity.

1 Thank you again for the opportunity to be here
2 today. This concludes my testimony. I look forward to any
3 questions you have.

4 MR. BARDEE: Thank you, Randy. Next is Tom
5 Popik from the Foundation for a Resilient Society.

6 STATEMENT OF MR. THOMAS POPIK

7 MR. POPIK: Thank you Michael Bardee. And at
8 this point, the usual thing is for the panelists to thank
9 the Commission for the opportunity to testify. In this case
10 I would like to doubly say that. The Foundation for a
11 Resilient Society is usually a dissenting voice, but for the
12 second year in a row we've been invited to testify here.
13 And I would just say that open debate is alive and well at
14 FERC.

15 I can sit next to Dr. Horton here and we can
16 have a debate in public and that really reflects very well,
17 both on FERC and our country. And so I'll just briefly say
18 something about Dr. Horton's testimony. In terms of the 3
19 to 14 transformers that would be impacted, we really have a
20 small base of real world tests for that conclusion. Is it
21 correct there's only two actual hardware tests for
22 transformers that that was based on?

23 DR. HORTON: I believe that's correct.

24 MR. POPKIN: Okay. So we're a great nation. We
25 have hundreds of millions of people to protect and we really

1 should be able to devote the societal resources to having
2 tested more than two transformers and not even to failure
3 and not at full load; is that correct?

4 DR. HORTON: Not to failure.

5 MR. POPKIN: Okay. To come to these kinds of
6 conclusions that are so important to our society. So I'll
7 get into some of the substance to my testimony. The staff,
8 one of the prompts for this testimony is the question of
9 long-term outage and it's really a very important question.
10 We have about 10 pages of testimony. I can't go through it
11 in the next two and a half minutes, but I would refer people
12 to the testimony, which I believe has been put online by the
13 Commission at this point and I also have paper copies with
14 me.

15 But briefly, if we were to a long-term outage,
16 everybody in this room could potentially be in danger. What
17 is a long-term outage? It's an outage that persists longer
18 than the resources of backup power for the Bulk Power System
19 and supporting infrastructures and over an area so large
20 that significant outside assistance would be impractical.
21 We have a scenario for actually the eastern part of the
22 United States in my testimony today and I would really
23 encourage people to go through that.

24 I have some more remarks also about what really
25 drives reliability here in the United States and the

1 constraints that we, as a society, are put under. And I
2 would start off by saying that so much of Mr. Lauby's
3 testimony today and Gerry Cauley's testimony earlier, the
4 Foundation for a Resilient Society really agrees with.
5 When they start talking about gas/electric interdependence,
6 the need for fuel diversity, and the need for spending
7 generation for frequency support and for reactive power,
8 especially in places like California, a lot of these
9 technical reports that are coming out of NERC are really
10 excellent and we do hope that the Commission pays close
11 attention to those reports.

12 And also in my testimony today, we have a lot of
13 quantitative analysis which supports those findings of NERC.
14 And I would also say, very briefly, one of the fundamental
15 problems is that the market, especially the organized
16 markets, do not appropriately value reliability. And we
17 have, again, good quantitative analysis for this in my
18 testimony today.

19 And finally, on the last page of the testimony
20 of Resilient Society, we have some very specific
21 recommendations for the Commission and the Commissioners and
22 we hope that they examine those closely. And I'd be happy
23 to take any questions about those recommendations. Thank
24 you very much.

25 MR. BARDEE: Thank you, Mr. Popik. And finally,

1 we have Sylvain Clermont on behalf of the Canadian
2 Electricity Association.

3 STATEMENT OF SYLVAIN CLERMONT

4 MR. CLERMONT: Thank you, Mike. Bonjour Madame
5 President (speaking French).

6 Commissioner Honorable and Mr. Bardee and FERC
7 staff thank you for the opportunity to participate in this
8 discussion about reliability and to take the time so we can
9 have a discussion on the reliability. And it is also an
10 honor for me to represent my fellow Canadian colleagues.

11 It's been said, but it's probably useless to
12 remind anyone about the integrated nature of the electric
13 grid, but let me do it anyway because we must be looking at
14 solutions together. We are in this together. Today's
15 threats, including the one we'll be discussing in this
16 conference are cyber/physical security, extreme weather
17 events, CMP, GMD, you will all agree are all very
18 different. They're varied in nature. They're complex and
19 most of them are evolving. So preparing for one does not
20 necessarily prepare the grid for the other one. But still,
21 we must prepare for all of these and the threats don't know
22 yet, so solutions probably must be on the same nature. They
23 must be varied. They must adapt and we suggest we must take
24 an all deserved approach to resiliency instead of focusing
25 on each of these threats individually.

1 So what do we do? Well, certainly, careful
2 analysis to learn and understand the threats and their
3 impact and the network behavior resulting from these threats
4 is important. Risk identification like NERC is doing that
5 is proactive action, looking forward trying to anticipate
6 where your bigger risk will come and trying to understand
7 what will affect your network in the year to come.

8 And at entities, each of us we should continue
9 to study our studies to better understand the impact on our
10 own network. That should result I call them intelligent
11 investing at strategic and critical points of our network.
12 So out of these analyses we understand where are the weak
13 points, if I may say, of our network, so intelligent
14 investing to make those weak points or strategic points more
15 resilient.

16 Managing carefully inventory spare parts. We've
17 been talking about spare part transformer for a while, but a
18 bunch of spare parts for your critical equipment, so I call
19 that managing carefully inventory and of course collaborate
20 together, including collaborating with regulator and have
21 open discussion with regulator. Sharing information between
22 industry, government, and regulator, we keep saying that,
23 but that is really key to making good progress, using the
24 forums even more. The forums like the NATF and the GATF
25 offers great spaces for candid discussions.

1 Continue and expand the exercise like the
2 grid-x. Grid-x are a great learning experience for all of
3 us -- government, industry -- so we should continue those
4 and expand those.

5 In Canada and with the U.S., we did recently the
6 U.S./Canada electric grid security and resiliency strategy.
7 That's a start. We should continue to work on that and work
8 on the actions that are in that document. We also must keep
9 in mind that as regulator and our customers want us to spend
10 wisely the money they give us we must be careful about where
11 we spend to make sure that we spend on what matters most for
12 reliability.

13 All of these threats, of course, including the
14 I- impact can't be ignored, but I believe they must be
15 addressed with broad solutions that make the grid more
16 robust and more resilient to anything.

17 And finally, standards -- and maybe we will be
18 discussing that more -- standards are not the only tool in
19 our toolbox and may not be actually the most efficient tool
20 in our toolbox. We have alerts, guidelines, best practices,
21 lessons learned. Are there ways to improve on those? Are
22 there ways to follow ups on best practices? So like alerts
23 when they are issued, you must respond and say, okay, I did
24 what's in the alert. Could we expand for best practices?
25 It's an open question, but these are tools in our toolbox

1 and they probably can be used more.

2 And lastly, remember no on entity, no one agency
3 can work in isolation to find a solution. So that concludes
4 my testimony. Many thanks for your attention and for the
5 opportunity and will be pleased to discuss any question you
6 may have.

7 MR. BARDEE: Thank you Sylvain. We'll start our
8 questioning with Acting Chairman LaFleur.

9 CHAIRMAN LA FLEUR: Thank you. Well, thank you
10 all very much and merci beaucoup, Mr. Clermont.

11 Okay, I'm going to start with Dr. Horton. As
12 you probably know, I was recently hauled up to the Hill to
13 testify about EMP and it actually was a great experience
14 because as always when you testify it meant I spent several
15 days really preparing. And I testified that the Commission
16 has been quite deliberate in not directing an EMP standard
17 thus far as we have directed physical security, GMD, and
18 other things because we didn't believe that we had a clear
19 enough path to where the best place would be to require
20 thousands of transmission owners to spend their money to
21 protect the grid against the biggest risks. And I got into
22 a little bit of a sparring with some of the other folks on
23 the panel about whether the physical securities studies or
24 whatever how we would best get at that.

25 And I pointed quite repeatedly to the Los

1 Alamos, Idaho, and EPRI work as potentially yielding that
2 information about how we best actually protect the grid.
3 And I see in your testimony, Dr. Horton, and I invite others
4 to chime in too, that some of these pieces of work from EPRI
5 are coming quite soon, third quarter this year, fourth
6 quarter this year. Do you think those pieces of work will
7 give us actionable information that we can use decide what
8 to do about the grid or are they a step on a path? I mean
9 where are we in really understanding this.

10 I would love to be able to do something about
11 while I'm here, and that's not forever, so where are we?

12 DR. HORTON: Right. With my EPRI hat on, I have
13 to be kind of silent on policy issues, so I'll speak
14 strictly from a technical standpoint. So at a high level,
15 if you're asking me from a technical standpoint does the
16 knowledge, the tools, and guidance, and so on exists to do
17 kind of a TPL8 type of standard I would say the answer is
18 no.

19 So basically, our research project we're not
20 really even getting into the risk piece. We're assuming
21 that the blast happened. We're looking at really what are
22 the true impacts and ultimately how would you develop
23 cost-effective mitigation options to mitigate against those
24 impacts. So we're doing this as quickly as possible, so you
25 know this is a three-year research project, but it's not

1 three years of research and then the data dump. So
2 actually, as we get to a point where we feel like we have
3 some actionable information, we're providing that to our
4 members. And I would also say to the public as well so as a
5 part of public benefit mission we always evaluate our
6 research deliverables to look and see, okay, EMP is a very
7 important topic. Would this make sense to put these
8 deliverables out in the public domain at zero cost?
9 There're always in the public domain.

10 So for example, the report that Tom mentioned
11 you know we did the assessment and we didn't just do the
12 assessment and say here's the answer. We did the assessment
13 and said here's what we did. Here's the input data we did.
14 Here's the models we used. That's how you're able to know
15 that two of the models were test. We're providing all that
16 detail so that we can have these robust discussions like
17 we're having today, but in short to answer your question, I
18 think, ultimately, at the end of the project when we're
19 able to do what Mike mentioned, which is this workflow,
20 which is look at the impacts of E1, E2, and E3 together
21 we'll have bits and pieces along the way, but we really need
22 to get to the point where we can study all that together to
23 really find tune what the potential hardening options might
24 be.

25 DR. RIVERA: The workflow can't be understated

1 here. There's a lot of missing pieces to EMP, but there's
2 also not kind of universally accepted workflow. Don't
3 worry. There are workflows out there. IEC has a set of
4 standards that you can follow. The quantitative workflow
5 from end-to-end that's agreed upon is important here. I
6 mean to go back to kind of the what happened with TPL007.
7 TPL007 put the workflow out there and then people came in
8 and beat up the workflow and different piece of the
9 workflow are now being looked at and maybe we substitute a
10 number here or we add this piece there.

11 The same thing needs to happen here. We need to
12 have an accepted workflow so that way scientists can come
13 and have a context with which to go, okay, this is wrong
14 here. This is right here. We have to change this and allow
15 this workflow to evolve to eventually something that could
16 be actionable.

17 DR. HORTON: And quickly, one thing I wanted to
18 add, you know it's easy enough to build a block diagram,
19 which is the actual workflow, but the real missing piece is
20 the actual tools, like they have to be built essentially
21 from scratch or figure out some way to cobble together the
22 different types of tools. That's another thing we're
23 working on.

24 CHAIRMAN LA FLEUR: Well, thank you very much.
25 I'm most concerned about E1. I certainly agree that our job

1 at FERC is not prevent it. Our job is oversee the
2 construction and operation of the grid to mitigate various
3 hazards and I think we have -- my understanding and I'm not
4 an electrical engineer, as is probably obviously, but I
5 believe we have our arms around E2 because it's like
6 lightening and we've done a lot of work on E3 like things in
7 the GMD context, but E1 is where we really need the work
8 that gentlemen are doing, I think, to have an intelligent
9 mitigation strategy.

10 DR. RIVERA: Just to jump in, E2, generally it
11 is said that, yes, it's a lighting-like strike and we're
12 hardened to lighting, so everything's okay, but this is an
13 assertion and it's something that really does need to be
14 investigated. I am not saying I disagree with the general
15 sentiment, but it's something that has not even been
16 remotely investigated.

17 CHAIRMAN LA FLEUR: Well, that makes your work
18 even important. So bearing in mind that we're waiting quite
19 eagerly for that work, I want to turn to the question I
20 think Clermont keyed it up of how can we build resilience of
21 the grid against various risks? I'm encouraged by some of
22 the things have been done recently on transformer sharing,
23 with grid assurance and so forth. I'm also slightly
24 optimistic that those sharing programs will lead to more
25 standardization or perhaps standardization. I mean I

1 believe strongly that if this industry knew what it wanted
2 in terms of mitigation it could go to ABB and Siemens and so
3 forth and they would build it because we have -- you,
4 collectively, have a great deal of buying power. So I think
5 we're making a little bit of progress there, although I'm
6 happy to hear more things we could do. But I'd like to know
7 how do we actually design redundancy and so forth into the
8 grid.

9 Of course, I read Mr. Popik's testimony, but we
10 can't turn back the clock and say we want -- we're going to
11 live with the system that has a lot of renewables and a lot
12 of demand resources and a reliance on natural gas. So how
13 do we build the Bulk Electric System to be more resilient?
14 Are there things we could be doing in terms of -- I'd hoped
15 that the operating procedures part of GMD would help by kind
16 of planning in advance, islanding. We have all these
17 experts here and appreciate any ideas how we can build it in
18 on the front end.

19 MR. CLERMONT: Well, if I may take a first shot.
20 I think what we learned from our famous ice storm in the end
21 of the nineties.

22 CHAIRMAN LA FLEUR: I remember very well. We
23 weren't too far away.

24 MR. CLERMONT: Well, you were in New England at
25 that time, yes, so probably a lot of your employees came to

1 help. And you remember that the --

2 CHAIRMAN LA FLEUR: As did yours come to help us
3 many, many times in your gray trucks.

4 MR. CLERMONT: Thank you. But may remember that
5 some part of the province were out of power for three
6 months, so I think that qualifies as a long-term outage that
7 we're talking about. Obviously, not large scale, but a fair
8 amount where a good share of the population was living --
9 was out of power for three months. So what did we learn?
10 So we took a careful look at our network and said, okay,
11 why? And then we came with design criteria. We review and
12 revised our design criteria, moving forward. So all new
13 lines must sustain more ice, more wind, more of that and
14 more of that, but that's 20 years ago. So all the new line
15 we build in the past 20 years are stronger. They have
16 anti-cascading towers. They're able to support more ice and
17 we added stronger structures.

18 We looked at the grid and we saw that a lot of
19 substation were already connected to another one, so we
20 built a couple of lines to make sure that they looped so
21 every substation is connected to more one of its friends.
22 And we look into remedial -- what's called RAS now, Remedial
23 Action Schemes, to see how that could help. And we're still
24 today looking -- we performed last year another critical
25 look at the network.

1 I was talking about weak points, but after 20
2 years of doing that where do we believe there's weak points?
3 Where do we believe I call them intelligent investments
4 could be made, so one more transformer there, one more line
5 there, one more substation to make sure that there's more
6 loops, that there's stronger structures. It's not magical,
7 but I think it did the job.

8 If were to have an ice storm like the one we had
9 or any actually extreme weather events our network would not
10 sustain the same amount of damage. So that's not a miracle,
11 but it's a careful, small investment, look at what was weak,
12 and we can all do that; but we will need an open
13 conversation with our regulators because it will require
14 investment. And the investment when we increase load or
15 capability of the network are usually easier to understand
16 for everyone, but now we're talking about money to get the
17 same service. These may be more difficult conversations
18 with the regulators.

19 CHAIRMAN LA FLEUR: That's why I'm asking the
20 question because I would like to be a champion of building
21 more resilience and having been around this industry for
22 several decades I find -- and I think this is just human
23 nature. There's a tendency to respond where it happens to
24 what happens, so Quebec is ready for ice storms, also you
25 did a lot of work on (0:44:07.4) disturbances after that

1 happened.

2 New York City has built its substations to
3 endure the next Sandy and bigger than Sandy. New Orleans is
4 ready for another Katrina. They've built the best levies in
5 the world. You go several hundred miles away and they
6 haven't necessarily applied the same lessons. And so that's
7 what this continental effort is about broadening those
8 lessons.

9 MR. LAUBY: Just to add, to me it comes down to
10 basic planning and risk identification and mitigation. And
11 of course, we've been working hard on that at NERC and with
12 industry and identifying what are some of the risks that are
13 existing today with the faint signals that we hear and do
14 something about them. And also looking forward as we see
15 more and more variable generation coming online and it's
16 going to be always synchronous of inverter-based. How are
17 we going to get inertia out of that? How are we going to
18 sustain frequency? How are we going to sustain voltage in
19 that kind of world? Let's make sure we put a spotlight on
20 those kinds of things so that we don't have to be looking in
21 our rearview mirror saying I wish I would've known about
22 that. So there's a lot of things that industry does to
23 ensure that the system's reliable. They ever get a thumbs
24 up saying -- nobody calls them at 3:00 o'clock in the
25 morning and say, look, it worked great.

1 Yes, so that being said, I think we have to be
2 vigilant. And if you read over Mr. Popik's materials, he's
3 identifying some of these risks as they come on the system
4 and so what do we need to be doing now to ensure that we're
5 ahead of it so that we've been able to ensure a highly
6 secure and reliable Bulk Power System?

7 DR. HORTON: I'll just make one quick comment
8 and kind of zero in on a particular problem, but with
9 regards to like safe transformer impacts due to GIC, either
10 due to B3 or GMD event, I think there was a couple of
11 things. Our recent E3 report and research basically if you
12 look at the way we did the study transformers that were
13 maintained properly like if you were in good condition we
14 didn't see a lot of issues. So you know improving
15 maintenance activities. And then secondly, a lot of
16 utilities are beginning to include GIC specifications in
17 their transformer designs. I think that's another kind of
18 low-hanging fruit action time that could be employed.

19 CHAIRMAN LA FLEUR: Thank you. And just to pick
20 up on something Mr. Lauby said, there's always enough money
21 after it happens. I just want to ask one more question
22 because I can't let you go without asking a GMD question.

23 COMMISSIONER HONORABLE: I was wondering.

24 CHAIRMAN LA FLEUR: Well, I've been closely
25 following the -- well, first of all, thank you for the

1 research plan, which has quite a lot in it. And I've been
2 closely following the budget of the U.S. Geological Service
3 and I'm wondering -- I want to just hear how important the
4 work that they do is to the operating protocol standard, the
5 ongoing work plan because I had thought we were quite
6 dependent on real-time satellite data to understand what's
7 happening with space weather, but I have the experts here.
8 Because it's just something I've been really watching.
9 There's been a lot of debate about the USGS budget.

10 MR. LAUBY: I think that the work that they were
11 doing, especially around mapping resistivity was extremely
12 helpful and there are other ways, I guess, that we can get
13 at measuring of that resistivity, but it allowed us to get a
14 much more of a microscopic view of the resistivity and an
15 understanding of what the ultimate -- occurrences are.

16 CHAIRMAN LA FLEUR: Anyone else?

17 DR. HORTON: I would just say that having the
18 magnetometer data and also the Earth model data is
19 critically important with anything to do with GMD. And even
20 the E3 I mean the Earth model piece of that is very
21 important.

22 DR. BAKER: I would echo that the Earth
23 connectivity models are extremely important and one of the
24 ways to get at that is to make more measurements and
25 correlation between GIC and the magnetometer data. That

1 needs to happen.

2 MR. CLERMONT: That won't be very useful for
3 you, but in Canada we get those data from Natural Resources
4 Canada, so we're not depending on that.

5 CHAIRMAN LA FLEUR: It's useful as a good
6 example. The kid next door does their homework on time.
7 Okay, I'll turn it over to Collette.

8 MR. CLERMONT: Well then, maybe it is useful for
9 you.

10 COMMISSIONER HONORABLE: Good afternoon,
11 gentlemen. Bonjure, sir.

12 MR. CLEMONT: Bonjure.

13 COMMISSIONER HONORABLE: I'm delighted to engage
14 with you all and I want to apologize for returning late. I
15 was at a luncheon and the speaker was Dr. April Erickson
16 from the NASA Goddard Space Center. Believe it or not, we
17 were almost talking over each other talking about this very
18 topic and how almost in vogue it is, not because it's the
19 most popular topic, but it's because we need to be focused
20 on it. And I want to thank each and every one of you for
21 the ways in which you have blended you expertise.

22 I, too, am a lawyer by trade and so this -- I'm
23 not an engineer, but what I do know is that scientists and
24 engineers you work by testing and challenging and finding
25 the proper dataset and making sure that the modeling, that

1 sensitivities and the futures are the proper ones so that as
2 we get more robust data we will be able to put it into some
3 modeling process and come out with something that we can
4 use. So really this discussion here today has given me some
5 comfort, Cheryl, about our course with the GMD effort. And
6 I want to thank those of you who have participated with us
7 along that journey.

8 And to our Canadian friends, thank you. When I
9 arrived here at FERC, one of my first meetings was with you
10 all and you reminded me about how our work impacts our
11 friends to the north, so thank you for also engaging with
12 us.

13 And to Mr. Popik, thank you because you've
14 touched upon this open process we strive to have. That's
15 why we have so many panelists because we know that there are
16 a lot of views and we don't want everyone to come and agree.
17 You all, even disagreeing at times, though in an agreeable
18 fashion, help us carry out this work better. And you
19 testing our thinking and the ways in which we are proceeding
20 help us and educate us. So regardless of whether you're at
21 the table, and I know you always do, you file those
22 comments. Please continue to do that because it so helpful
23 to us.

24 Mr. Lauby, I acknowledged to you, as you know,
25 in the other panel with Gerry Cauley, but we're so grateful

1 to all of you for your work on this topic in particular
2 because it's one that challenges me personally because we
3 don't have years of data and occurrences, thanks goodness,
4 that would really help better inform our work.

5 I want to ask a question, and it goes back to
6 something that Cheryl touched on. And I want to first start
7 with Dr. Horton and I want to ask any of you to chime in.
8 And let me thank every -- in full disclosure, I served on
9 the Advisory Committee for EPRI, but I learned a lot about
10 the ways in which EPRI is supporting the work in the sector,
11 looking ahead at what's coming around the corner. I was
12 very appreciative of this particular study.

13 I have to tell, Dr. Horton -- I call him Randy.

14 DR. HORTON: You can call me Randy.

15 COMMISSIONER HONORABLE: Thank you, Randy.

16 There was quite a bit of discussion. One, I
17 think people were excited to see it, but two, I think there
18 was an interesting question about why start at E3? You know
19 if you think about -- and I've had to educate myself. I
20 have just enough knowledge to be dangerous here. If you're
21 thinking about E1 scenarios, I agree with Cheryl. Those are
22 the things that I tend to be concerned about, especially the
23 early time pulse events.

24 E2, as Dr. Rivera said, could be maybe lighting,
25 but he said we really need to learn more about that in order

1 to say for sure. And then what appears to be the most
2 significant event, the E3, which may not happen as often,
3 but boy, when it does it will certainly get everyone's
4 attention. Tell me, and forgive me if you've talked about
5 this, how did you arrive at starting with E3? And let me
6 also say that I'm grateful that you will turn to look at E1
7 and E2 because I think altogether it will provide a wealth
8 of information for us.

9 DR. HORTON: So we made the decision I can say,
10 and you probably are aware of this based on what you just
11 said about some of the discussions you've had. We had some
12 very robust I'll say discussions about why we chose to go
13 with E3, but really it was simple. We did realize that if
14 you lost a large number of volt power transformers you would
15 have a blackout that lasted for a long time and then that
16 kind of changes the whole landscape. So right off the gate
17 we wanted to see, okay, if we took some of the same studies
18 that had been done in the past, but sort of update those
19 with some of the newer modeling capability that we have, we
20 wanted to see would we get the same answer.

21 Based on what we did, we didn't get the same
22 answer and that was the reason we felt it was very important
23 to put all of those details in a report so we can have a
24 discussion about what we did. You know people may not agree
25 with it, but we can talk about it and so on.

1 That said, in our study, we were not able to
2 include the effects of E1 or E2, which you know if you think
3 about how this might actually work in reality is you have
4 the E1 come through. You may damage some electronics. It
5 could affect relaying and how the system would respond when
6 you'd get to the E3 piece, but we feel like our analysis was
7 conservative from the E3 effects on transformers, but when
8 you start to look at what the overall system impact is you
9 really do need to include all there. So we're trying to get
10 to a point where we can model those -- essentially, model
11 those all together so that you really know what the full
12 impact is. That's kind of a long answer for a short
13 question.

14 COMMISSIONER HONORABLE: And I don't know if
15 anyone else wants to chime in this topic in particular, but
16 if not, I'm going to proceed.

17 Dr. Rivera, I want to thank you and your
18 colleagues -- I mentioned to Dr. Rivera before we began this
19 morning how grateful we are for the work of our colleagues
20 at DOE and especially you and your colleagues in the
21 national laboratories. We rely heavily upon your work and
22 it's beautiful how we have come to rely upon that in our
23 rulemakings and our decision-making and so there really is a
24 role we all play in holding this grid and making sure it's
25 reliable and resilient, so thank you.

1 I want to press on you a little bit more about
2 the E-2 areas to the extent that you're willing to discuss
3 this. What could we do to learn more about the sorts of
4 events that are likely to occur in an E2 occurrence and if
5 there are things that we should be working as regulators and
6 policymakers in this area?

7 DR. RIVERA: The short answer there is I don't
8 have a good answer for you. There's just not enough done on
9 E2. We have E2 simulators to some degree. We have E3
10 simulators to get to ground fields. There is, so far as I
11 know, no direct E2 simulator with which we could even get
12 ground fields.

13 Now this is not to say that this is a difficult
14 extension of what are currently codes that out there. It
15 just has not been done, so I wouldn't even know where to
16 begin on answering that, but it is some research that needs
17 to happen to ensure that this assertion about E2 is not
18 going to have an effect is adequately researched. So just
19 out of an adequacy of concern, basically.

20 COMMISSIONER HONORABLE: Thank you. And I hope
21 that some of your colleagues have heard that. In case
22 they're twiddling their thumbs, they can get to work on
23 that.

24 DR. RIVERA: They are well aware and they are
25 working.

1 COMMISSIONER HONORABLE: Well, very good thank
2 you. And I feel confident that if you aren't aware, then
3 there is certainly a lack of information because you are a
4 trusted source for us and I appreciate your candor there.

5 Mr. Popik, I wanted to turn to your
6 recommendations. You teed it up and I wanted to bite. So
7 in your pre-filed testimony, you have us lots of
8 recommendations. Thank you for those. I'm interested in
9 one in particular and it happened to be the last one because
10 in it you spoke about FERC's need to advocate and engage
11 more with Congress and the FCC regarding communications, in
12 particular, in ensuring resilience. I take that to heart.
13 I think a number of us, as regulators, were really aware of
14 our lack of coordination after, for instance, Hurricane
15 Sandy and inoperable we are in and how interdependent we are
16 and we can't communicate about getting the lights on if the
17 communications network isn't up and the folks in the
18 communication sector can't do their work if they don't have
19 energy. And so we know that there is a symbiotic
20 relationship there.

21 I agree with you that we haven't done enough and
22 especially after not only Hurricane Sandy, but any number of
23 events that have occurred. And I wanted to ask you in
24 particular specific recommendations you have since you've
25 teed up the issue.

1 MR. POPIK: Well, thank you very much for that
2 excellent question. Before I get into the heart of it, I
3 would say that already FERC coordinates with another
4 important agency, which is the Nuclear Regulatory Commission
5 and you have that annual meeting. I think you recognize, as
6 the Commission, the importance of that symbiotic
7 relationship between nuclear power and electric
8 reliability. The same is becoming ever-increasingly true
9 for communications and the Bulk Power System.

10 NERC and Mr. Lauby, in his testimony, referred
11 to this. I'll just briefly give you the history in terms of
12 resilient communications at the FCC. With Hurricane
13 Katrina, a lot of communications were out and it became very
14 apparent how critical communications are. There was a
15 post-Katrina panel that recommended great resiliency of
16 communications and the FCC actually passed a formal rule for
17 greater backup power durations among what are called central
18 offices and remote terminals.

19 Unfortunately, there was some opposition to that
20 and ultimately that greater resiliency for backup power was
21 placed aside by the D.C. Circuit Court and that's really
22 where it rests right now. I think that FERC, as a
23 Commission, would have very significant authority if you
24 were to go to the FCC and potentially establish the same
25 kind of regular meeting framework that you have with the NRC

1 and so that's really the heart of this recommendation.

2 COMMISSIONER HONORABLE: Well, thank you for
3 making it. And I recognize it's something we certainly
4 should consider it and I'm saying this out loud because I'm
5 sure that our future colleagues, whether or not I'm here,
6 will take this to heart. And our engagement with the NRC is
7 quite robust and we learn so much from one another. And
8 even with regard to rulemaking and licensing and permitting
9 there are just a number of ways in which we are aligned,
10 including our work with regard to reliability and
11 resilience.

12 I appreciate you harking back to Hurricane
13 Katrina. I recall days being chairman in Arkansas at the
14 Commission and dealing with coordinating and coordination
15 after tornadoes and after a significant amount of
16 infrastructure was taken down. I also when hearing you
17 speak recalled testifying before Congress before a
18 subcommittee about responding to severe weather events and
19 the need for the energy sector and the telecom sector to
20 better coordinate.

21 But in saying this I also would say that's why
22 the state processes are so important too, that the first
23 responders and emergency management and every one along the
24 spectrum also needs to be engaged. And so I appreciate that
25 you make the recommendation and I'll certainly keep it in

1 mind.

2 MR. POPIK: Thank you.

3 COMMISSIONER HONORABLE: And I believe I will
4 yield so that the staff can ask questions. Thank you.

5 MR. BARDEE: Thank you, Commissioner. I have a
6 couple of areas I want to touch on and then I'll turn to my
7 colleagues here. One of them starts from the Aliso Canyon
8 scenario, gas dependency as it increases in our country and
9 more specifically, the planning that might be necessary or
10 appropriate to foresee and prepare for similar circumstances
11 elsewhere.

12 We have transmission planning standard now that,
13 in some sense, has that element in it. It applies to
14 transmission planners and planning coordinators and it says
15 in certain circumstances you have to consider the loss of
16 two generating stations caused by a loss of a large gas
17 pipeline in a region or more than one region, so I have a
18 couple questions about that, either for Mark, Dede or both.

19 One is are those the right entities to give us
20 the kind of analysis and preparation that we need. You know
21 transmission planners, planning coordinators, first of all,
22 are balancing authorities who are the entities responsible
23 for balancing resources and demand. Should they have some
24 kind of responsibility like that?

25 And second of all, you know transmission

1 planners sometimes have a large footprint, but many of them
2 do not. Some of them have a small footprint and having a
3 lot of little entities, small entities do this analysis may
4 not give you the necessary insight and results because a
5 pipeline may affect several of them in a row and they each
6 see only their tiny slice, which may not be the problem.

7 MR. SUBAKTI: So California ISO we're planning
8 coordinators for the footprint that we have in California.
9 You're right that I think, as a planning coordinator, we do
10 see a lot more information with regards to how all the gas
11 infrastructures ties into our portfolio.

12 One unique thing about California ISO is we are
13 also the balancing authority, so because of the fact that we
14 are planning coordinators and we are the balancing
15 authority, we don't see that issue that you were talking
16 about, but I would imagine if you are only planning
17 coordinators and not a balancing authority you might have
18 that issue. I would agree with you in there.

19 Currently, we are doing the assessment for the
20 impact of potential gas pipeline in there because obviously
21 again we've learned through it because we have Aliso
22 Canyon's issue that is in there. I think we are in the
23 right directions. We believe that there is a good -- at
24 this point in time there's a good balance between
25 reliability standard for the planning horizons versus what

1 commissioners have allowed us to do to have the market
2 incentive to implement the constraints of the gas itself
3 into the market optimization.

4 So it becomes a transparent step. Where do we
5 need the renewable resource? Where do we need the other
6 type of resource? Where do we need the energy storage and
7 this other stuff, and I think the ability to have a mix of
8 resources, mixed type fuel resources would help to reduce
9 the over reliance on the gas. But obviously, this is one
10 the things that has been a very good experience for us. And
11 one of the things that we also have to look at, not just the
12 planning of what would you if you have a pipeline that
13 doesn't work, but then the question is what would you do if
14 you actually have a blackout, a long-term blackout with a
15 gas pipeline?

16 You know many of our black start resources are
17 natural gas units, so we actually went through this exercise
18 to look at which are the gas compressor that rely on
19 electric simply to be there versus which are the compressor
20 that are actually self-propelled that they can actually
21 self-power through the gas itself. So that exercise is very
22 useful for us.

23 MR. LAUBY: Thank you for your question,
24 Michael. You're right there is a TPO I think, four, you know
25 called for studying certain types of events, extreme events,

1 including the loss of a gas pipeline and especially if they
2 impact more than one generator or a large number of
3 generation. And the whole idea there is to develop plans to
4 address those and then, of course, that moves into actually
5 implementing some of those plans down the road becomes a
6 closer scenario.

7 It's something to think about now, though,
8 because it's becoming less and less of an extreme and more
9 and more a shorter -- you know in our face type of event
10 that we might want to look at that standard and see if it
11 makes sense to have really into -- put the solutions in
12 place, that one to five-year timeframe.

13 MR. BARDEE: A different topic, I have a
14 question or two on EMP. One, Dr. Baker, I'll start with
15 you, but others can feel free to chime in, has to do with
16 let's suppose that some point in the future the Commission
17 decides it's time to do a standard about EMP. It's time to
18 require a standard about EMP. If I compare it to GMD, it's
19 a natural event and you can put a number out there for GMD
20 and say protect to this level and you don't have to worry
21 about the sun reacting and saying I'm going to get bigger
22 and hit the Earth harder, but if it's an adversary, a nation
23 state or otherwise, if we specify a level of protection in a
24 standard for EMP, is it a concern that adversaries may
25 respond to that? Is that a risk?

1 DR. BAKER: I would say because of some of the
2 limiting effects of the atmosphere, saturation affects we
3 call them, that you can develop a bound that would be very
4 difficult to exceed. For instance, we've done calculations
5 in developing the DoD standard where we varied the yield by
6 three orders of magnitude and noticed only a factor of 4
7 difference in the peak field. And so for E1, I think that's
8 not a problem. For E3, again, it's very yield dependent,
9 monotonically yield dependent, but we know what's in the
10 stockpiles and so we could set our standards that bounds the
11 E3.

12 The Europeans have the International Electric
13 Technical Commission. It's already published some
14 international standards, which, at least for E1, I think
15 would be a very good one to adopt.

16 MR. BARDEE: And following up on what you just
17 mentioned about the IAC, I've read there are standards
18 there. There's the Mill Standard, MIL, from our Department
19 of Defense, but I've also read that those are not generally
20 developed with the grid in mind, may not be necessarily the
21 best approach for the grid and also might be fairly costly
22 if they were required. And I just wonder what your
23 perspective is on that, whether those standards have some
24 suitability or is there anything we can learn? Any part of
25 them we can take and use here as sort of a no regrets.

1 Let's start with that.

2 DR. BAKER: Well, for the environment, you know
3 DoD has all kinds of infrastructure and systems out there,
4 so the environments are independent of that where it gets to
5 be -- or the system affects in the grid and the grid itself
6 comes into play is when you start talking bout coupling, but
7 I think the environment standards you could develop some
8 that would be universal.

9 DR. HORTON: So I would agree with the
10 environment piece. I think where the difficulty comes in is
11 you've got several things playing here. You've got the
12 environment. You have the coupling piece, which would be
13 the modeling aspects, but then you also have this piece,
14 okay, you can sort of calculate what you think the equipment
15 would be exposed to during a particular event, but would it
16 be damaged? And then also what can you do in order to kind
17 of mitigate that damage. I think that's where the questions
18 for, for example, substation hardened equipment. There's
19 questions around what would the equipment actually be
20 exposed to and then what would the potential damage be.
21 Once you know that, you can kind of back into what the
22 mitigation options are.

23 Right now you know Mill188125-1 would assume that
24 the equipment you're trying to protect is not very hardened
25 at all, so it's pretty robust protection. So that gets to

1 be very costly, so what we're trying to do from our research
2 perspective is, is there a way to still get the same level
3 of mitigation because you're trying to harden different
4 kinds of equipment and do that in a more cost-effective
5 manner. But right now there's a lot of research to be done
6 in order to get to that point.

7 DR. RIVERA: So if I could just chime in, I'm
8 going to harp on this yet again. The answer to your
9 question is workflow related. We don't have an accepted
10 workflow. And when I say workflow that's not just a matter
11 of, okay, these are the steps we do to get a quantitative
12 answer, but that also is what are the bounds of what we are
13 calling damage that we're concerned of?

14 Until we have that accepted workflow, until we
15 have the appropriate bounds for what we're actually
16 concerned about, we don't know which parts of the IEC
17 standards or the Mill standards we need to pull out and plug
18 in to the workflow to establish, okay, well this is the
19 appropriate workflow and we can use this part of the
20 standard, so it's workflow related again. Until you have a
21 defined workflow, I don't I can't help answer you that
22 question.

23 MR. BARDEE: So my last question before I turn
24 to my colleagues or others, and your answer was actually a
25 good setup for it. Let's suppose we get to the answer where

1 that workflow is now done, we know the answer. We know what
2 we want to do. I assume there is a big, big difference in
3 cost of installing it in something new you're building today
4 compared to a retrofit of a substation or a control center
5 or anything else that's big. And assuming that we have the
6 flexibility to actually impose standards on new stuff
7 without mandating the same treatment for old stuff, would
8 that be a reasonable thing to do?

9 DR. BAKER: I would start there. And I've read
10 that in the next 30 years we're going to have a 50 percent
11 build out or increased build out in the grid, if that stat
12 is correct.

13 The other point I would make is the DoD
14 experience is that if you want to do global shielding for a
15 new build versus a retrofit, there's a factor of 10
16 difference in the cost, 2 percent versus 20 percent it's
17 roughly. But there are in some cases, for instance, in a
18 substation control building you may be able to isolate the
19 electronics in a very small volume, in which case the
20 protection costs would be much lower. So there's ways to
21 protect existing equipment, if you're clever, that would not
22 obey that factor of 10 ruling.

23 DR. HORTON: Just one thing I would add, cost
24 aside, I think when we start applying some of these
25 hardening principles and practices in substations, I think

1 we've got to be a little bit careful about some of the
2 potential unintended consequences, particularly when you
3 start to look at applying HEMP filters to CT and PT circuits
4 and things like that.

5 I'm not saying we can't engineer around those,
6 but I think just kind of blindly applying some of the
7 hardening could potentially cause issues that we need to vet
8 out and make sure that's not a potential issue.

9 MR. ORTIZ: Thank you, Mike. Thank you all for
10 your testimony and for the lively discussion.

11 I want to bring up just one question regarding
12 an item that Tom Popik put forth in his testimony -- in his
13 submitted comments rather. And this has to do with the
14 notion of resilient versus non-resilient capacity, meaning
15 simply that fuel is stored onsite. This could either be I
16 guess a dual fuel facility with some fuel stored onsite or
17 alternatively a coal-fire power plant or a nuclear power
18 plant and there's a suggestion in the testimony or rather in
19 the submitted comments that somehow we should come up with
20 more effective ways of measuring and valuing that resilient
21 capacity in some way.

22 And first of all, I'd like Tom to make sure that
23 I didn't misrepresent his remarks and also I'd like the
24 panel, perhaps Mark and others, to comment on that notion
25 and potentially could be done about it, either here at the

1 Commission or within industry. Is it more than just smart
2 black start planning? Is it something else beyond that?
3 Help enlighten us on what potentially could be ways to think
4 about that kind of resilient versus non-resilient, whether
5 or not there's a valuable way of putting it. Help us
6 understand that, whether or not that makes sense or that's
7 something that could be a potential area for action.

8 MR. POPIK: I'll go ahead and get us started off
9 because I would like to throw out some numbers about how
10 severe the reduction in the resilient generation capacity
11 has been. So just to reiterate what you said, if there's
12 fuel stored onsite, the generation capacity is resilient to
13 short-term interruptions in fuel supply. So this would be a
14 hydroelectric plant, a nuclear plant, a coal-fired plant
15 with a large coal pile or a gas-fired plant that has dual
16 fuel capability that would have oil tanks that could run
17 for, say, 24 hours or 48 hours, so that kind of thing.

18 And so what we did is we went to the EAI data
19 and we looked at two different points in time. We looked at
20 1996 and we compared it to the most recent data available,
21 which is 2015. So in 1996, 97 percent of U.S. generation
22 capacity was what we would call resilient, that had some
23 degree of fuel stored onsite.

24 And when we get to generation that's been added
25 to the system, 1997 and later, on 27 percent is resilient,

1 according to that definition and in some states the
2 reduction resiliency has been especially extreme. For
3 example, in California only 7 percent of the newly added
4 generation, which is almost entirely gas-fired, is resilient
5 or dual fuel. And you can actually go around and visit
6 plants and you can see the old oil tanks that no longer have
7 fuel oil in them.

8 So what's the solution to this? It's very
9 difficult to solve this problem with reliability standards.
10 And this is where FERC has a tremendous advantage in terms
11 of also being the economic regulator and being able to set
12 certain conditions of tariffs. And so one of the things in
13 our written tariffs testimony we suggested that perhaps
14 there could be some adjustments to the capacity markets
15 where there could be some allocation of capacity set aside
16 for resilient or dual fuel type plants.

17 MR. LAUBY: Conceptually, I think I'm really
18 quite comfortable with the definitions, remembering that
19 NERC has been looking at this problem for quite some time.
20 When we looked at the Clean Power Plan and how many plants
21 were going to retire and what are the implications of being
22 single threaded on gas and that's why we have a report on
23 single points of disruption and pointing to what are the
24 potential impacts. And in fact, in our LTRA, we're
25 starting now to get to the point of saying, well, we want to

1 know how many of your plants are dual fuel? How many of
2 your plants are buying on spot or firm so that we can start
3 getting a real idea of the size of the problem, as Mr.
4 Popik's pointing out and what are the implications on
5 reserve margins. How we can get an expected value of gas
6 for not being available? We can kind of play around with
7 that. So from a planning perspective, the methods are there
8 and then you can start looking at what the implications are
9 and what the value to reliability is of each one of those
10 resources.

11 MR. SUBAKTI: With regard to California ISO, we
12 do look at our black start resource, black start capable
13 resource carefully. And you're right there's specifically
14 one black start resource that remain -- capability. There
15 are quite a number of black start capabilities that are
16 hydro-based, but there are also some that are natural gas.

17 Now for those that are natural gas, we have to
18 go back and make sure when working with the gas company to
19 look at whether or not the delivery of the gas would rely on
20 the electricity. We want to make sure that they do not rely
21 on electricity because they have to be on a compressor site
22 that is self-working in there.

23 But beyond that, we have also worked with
24 different technologies. So for example, we have a quick
25 start capability from a HVCD line. Normally, HVCD lines are

1 not for black start, but we've worked with manufacturers,
2 with Siemens and what not to have the ability to have a
3 quick start for the area of San Francisco because, as you
4 know, there is no more conventional generation in San
5 Francisco, so we look for technology improvement.

6 The other one that is going to be interesting is
7 that through the -- process in there one of the measures was
8 try to look at the potential of coupling battery storage and
9 be able to work and help to start some of the unit that may
10 need to be quick start. So I think we have the right people
11 to take a look at all the solution. Dual fuel maybe one of
12 the solutions, but I think there are -- maybe there are
13 other emerging technologies that could actually help us
14 towards the solution.

15 CHAIRMAN LA FLEUR: I guess if there's one
16 minute, I'll ask one more question while I have all these
17 resilience experts. Something we've been hearing a lot
18 about is analog backup. I know it related to cybersecurity,
19 but it might relate to E1 and communications as well. Is
20 that something you see as part -- you know that there's a
21 King Risch bill and so forth and the thought of -- I have to
22 admit when I first heard it I was originally kind of
23 skeptical, but I've kind of warmed to the thought of some
24 different modalities of communication or ways to run the
25 system. Is that something NERC has looked at or thought

1 about?

2 MR. LAUBY: I know that like in the recent study
3 that we did, the joint study with FERC on the loss of many
4 of these are communication or situation awareness, and also
5 we went through and identified some of the different types
6 of communication methods. You can be using satellites and
7 cellular. Of course, cellular could be gone to. It depends
8 on how far you go. Pretty soon you've got a cup with a
9 string on it, but I mean at some point you know have maybe
10 microwave and other technologies that you can use. So it's
11 an idea especially to practice these different types of
12 drills and then really look at which are the most resilient
13 communications that you want to count on.

14 CHAIRMAN LA FLEUR: Well, the companies used to
15 have those -- what were they, megahertz systems and the
16 trucks with the push to talk before the cell phones.

17 MR. LAUBY: Yes. So it might be worth having
18 those on board. And I want to have people on each one of
19 the substations. How are they going to communicate with
20 those folks?

21 CHAIRMAN LA FLEUR: When you picture trying to
22 put the grid back together, it seems handy.

23 MR. LAUBY: Yes.

24 MR. POPIK: There's one instance where retaining
25 analog capability would be especially important and it's at

1 the large hydroelectric facilities. Those are almost
2 entirely plants that were built, say, 40 or 50 years ago
3 with original analog controls. Some of them have converted
4 over to digital, but if the old analog controls are still
5 left in place, and importantly, there's practice or drills
6 using the analog controls that could make a much more
7 resilient grid and that's, as you said earlier today, that's
8 one of the key words, how do we ensure resiliency, and one
9 of the ways is by keeping some of that old, resilient analog
10 capability.

11 CHAIRMAN LA FLEUR: I mean that was a stupid
12 example, but I'm sure everyone in this room has a manual can
13 opener somewhere in their kitchen.

14 COMMISSIONER HONORABLE: I mean it never doesn't
15 work. It always works. So whenever that electric one screws
16 up, and it always does -- sorry, whoever makes them -- I go
17 to that manual one.

18 MR. CLERMONT: But you're right. One of the
19 paradox of what you're talking about is one of the driver
20 behind going digital in our substation is the loss of
21 expertise on analog. All our technicians that were born and
22 worked for a long time retired -- with analog -- pieces are
23 retiring, so that loss of expertise is something that we're
24 concerned about and it's kind of giving an incentive to move
25 faster towards digital. And Mr. Popik's right. I mean all

1 of use our network infrastructure was not built all last
2 year, so we still have that, but we're losing fast the
3 expertise on that, the spare parts, and everything and
4 that's an incentive to go digital. But maybe we will revise
5 that, revisit that in the future.

6 CHAIRMAN LA FLEUR: Thank you.

7 MR. BARDEE: With that, we'll wrap up this
8 panel. I'd like to thank all of you for your time and for
9 your very thoughtful comments. Thanks. And we'll be back
10 at 3:15.

11 (Break)

12 MR. BARDEE: Our panel now is addressing the
13 topics of cybersecurity and the CIP standards and other
14 efforts that might be helpful in terms of better protecting
15 the grid from the risk of cybersecurity. So I will start by
16 turning to Marcus Sachs from NERC to lead us off.

17 STATEMENT OF MR. MARCUS SACHS

18 MR. SACHS: Thank you, Mike. Good afternoon.
19 Madame Chair and Commissioner Honorable, thank you for
20 having us and for the opportunity to appear before the
21 Commission and staff and others to discuss grid security,
22 also the work we're doing at NERC and with the electricity
23 EISAC to mitigate potential impacts to the Bulk Electric
24 System.

25 I think we all know that assessing risks and

1 assessing the security state is hard. It requires dynamic
2 of constant vigilance and agility. The threats continue to
3 evolve, particularly nation state threats as well as
4 criminal threats and others as society changes and as the
5 world dynamics change so do the threats, so that attention
6 to detail, of course, is very important.

7 At NERC we address cyber risk through a variety
8 of regulatory and non-regulatory means. Our mandatory CIP
9 standards, which you all are very familiar, are our
10 foundation for where we start with security. They provide
11 universal baseline protections, but because that
12 ever-evolving nature of threats standards alone cannot stand
13 up to that challenge. We have to do other things. We have
14 to have vigilance. We have to respond to these new and
15 changing events.

16 We also have at NERC the Electricity Information
17 Sharing and Analysis Center or EISAC, which serves as an
18 information-sharing conduit, which when the electricity
19 industry and the government for cyber and physical threat
20 exchange threat analysis and understanding what's happening.

21

22 The EISAC facilitates communication of important
23 or actual information and we strive to maintain what we call
24 the ground truth, the actual information about this rapidly
25 evolving security world. Together these mandatory

1 standards, effective information sharing, working together
2 provide a very robust and agile toolset to help us protect
3 the Bulk Power System.

4 In addition, we also work very closely with our
5 partners at the Electricity Subsector Coordinating Council
6 or the ESCC, very unique to our sector to have the CEOs
7 involved in security discussions and I think we have a very,
8 very, very strong public/private partnership that's
9 important to addressing this security world.

10 Let me just briefly walk through what we see as
11 -- and the EISAC has learned a lot about security over the
12 last couple years as we continue to grow and change, but
13 there's probably five major areas we're concerned about that
14 the grid needs to worry about and this is just cyber. I
15 think we all understand the physical challenges that are out
16 there, but we see a lot of cyber stuff that began years ago
17 with more of a reputation problem protecting websites -- you
18 know phishing, stealing domain names. That's an
19 inconvenience problem, but I think it's something that as
20 long we're very aware of it and we're tracking, certainly
21 it's something we can handle.

22 But we've also seen the criminal world move into
23 theft, both theft of intellectual property as well as theft
24 of value. This is the old FBI thing -- you know why do you
25 rob a bank. It's because it's where the money is. Well,

1 the electric grid is not a bank like financial services, but
2 we have a lot of value and we're certainly seeing a large
3 rise in cyber crime. And it manifests itself probably in
4 two different ways. One is the stealing of customer
5 information, credit cards, other things. The other would
6 be this new wave of ransomware that we're seeing. You're
7 all are very familiar with the Wannacry problem that we saw
8 globally about a month or so ago.

9 Again, that area, that theft of information and
10 theft of value as well as reputational theft, those are all
11 things we can understand. We can mitigate. It's a nuisance
12 problem. But where we get into the stuff that really
13 worries us with the grid is that folks are able to cross a
14 boundary and begin to manipulate control systems. That is
15 the growing concern area. It's largely been theoretical,
16 but we've seen through the Ukraine incidents and others that
17 the theory is now becoming practical and our adversaries are
18 very interested in some of the successes that they've seen.

19 We've done quite a bit of studies and have
20 released a number of white papers and have worked very
21 closely with others in our sector, many who are sitting
22 here, as well as other industries to better understand and
23 analyze what's going on. The worst case, of which we've got
24 very few examples, is beyond just disruptive like what we've
25 seen in the Ukraine, but destructive where you have an

1 adversary get in and actually break things, either logical
2 destruction causing the devices where they can't respond to
3 commands or physical destruction, such as spending device,
4 which the (0:04:37.1) Group had uncovered with Aurora many
5 years ago. I don't want to say that's right around the
6 corner, but that seems to be the next wave and that's where
7 we really need to be vigilant when it comes to
8 cybersecurity.

9 So I've got quite a few remarks in my written
10 testimony. I encourage conversation and questions. Look
11 forward to a vivid discussion as we move forward. Thank you
12 very much for the opportunity to be here today.

13 MR. BARDEE: Thank you, Marcus. Next, we have
14 Dr. Manimarun Govindersu, from Iowa State University.

15 STATEMENT OF DR. MAINARUN GOVINDERSU

16 DR. GOVINDERSU: Good afternoon. First of all,
17 I express my sincere thanks to the Commission for providing
18 me this great opportunity to be part of this panel. I'm a
19 professor at Iowa State University. I conduct research in
20 cybersecurity for the electric power grid.

21 As you know, modern grid is a complex cyber
22 physical system with incorporation of smart sensors,
23 communication networks, various controllers. They've
24 improved. They appreciate the availability and the
25 economics of the grid, but they're also increased the

1 attacks and risks of the grid for adversaries to exploit, so
2 we need to secure those attacks and risks. We need
3 minimize the attacks and risks.

4 So in recent years, the cyber threats have been
5 growing in numbers, also in sophistication. We know of
6 several incidents in recent years in the Ukraine and other
7 places. The legacy nature of the grid, coupled with the
8 slower adoption of operation technologies makes this problem
9 even harder.

10 So in this context, I would like to identify a
11 few R&D challenges and also they are related to policy as
12 well. One important thing is we need a holistic
13 cybersecurity framework that encompasses attack, deterrence,
14 prevention, detection, mitigation, resiliency and forensics.
15 We need to have a holistic as opposed to a comprehensive
16 framework. That also has to accompany with property at the
17 realistic metrics and tools and they are to be
18 operationalized and realistic environment.

19 The other important thing is risk assessment has
20 been talked today. The current cyber assessment is more
21 qualitative in nature as opposed to quantitative in nature.
22 And also they do not properly account the threat tactics.
23 If you look at risk assessment, risk involves threat times
24 vulnerability times the consequence. Threat modeling is not
25 well understood. It is more of an art than a science today,

1 so we need to better understand threats so that we have more
2 realistic risk models for cyber threats.

3 The third important thing is the current notion
4 of resiliency is a fault resiliency which has the notion of
5 N minus one contingency criteria. How do we transform the
6 current fault resiliency to attack resiliency to deal with
7 malicious adversaries who target multiple critical elements
8 -- coordinator attacks and so on. So paradigm shift from
9 fault resiliency to attack resiliency is important.

10 The other one is the innovation in IT outpaces
11 the operational technologies. There is always a catch up in
12 OD trying to catch up the IT. The adversaries have
13 advantage because they use IT tools and technologies. How
14 do we bridge this gap is very important. NERC compliance
15 has been very effective over the years. Continuous
16 improvement is important. While we make this continuous
17 improvement, it has to be to the extent very fine, the
18 effectiveness of the process, the technologies, and the
19 people who operate the system they all have to encompass
20 what has been in place. The challenge has been how do we
21 sustain it? The industries find it hard many times how to
22 sustain this compliance process.

23 The other important thing is how do we extend
24 supply compliance to distribution grid. Distribution grid
25 is not well -- or well protected against cyber adversities.

1 That needs careful attention. Grid exercise has been
2 growing in terms of industry participation and
3 sophistication of the scenarios. There is a need to
4 incorporate test-based experiments in grid exercise
5 scenarios.

6 Finally, workforce development is extremely
7 important. As I come from university, we imparted graduate
8 education, undergraduate education, industrial training,
9 hack-a-thon and so on. There are so many flavors of
10 education that can happen in which industry, university, and
11 federal agencies can collaborate together.

12 So finally, synergetic partnership among
13 industry, universities, and federal-funded national labs is
14 important, not only to advance the R&D in this important
15 area, but also to educate and train skilled workforce in a
16 sustainable manner for the future. That concludes my
17 remarks. Thank you again.

18 MR. BARDEE: Thank you, Doctor. Next, we have
19 Michael Assante from the Sampson Institute.

20 STATEMENT OF MR. MICHAEL ASSANTE

21 MR. ASSANTE: Good afternoon, Chairman LaFleur,
22 Commissioner Honorable, and staff. I thank you for this
23 opportunity. I'll summarize my remarks for brevity.

24 In addition to my experience as a CSO at AEP and
25 the first CSO at NERC, I'm providing these comments based on

1 my recent experiences with real world incidents involving
2 power systems and my understanding of the opportunities and
3 challenges developing industry standards.

4 I remain steadfast in my belief that properly
5 developed standards play an important role in establishing a
6 very strong foundation for future electric system
7 reliability and security. It is important, however, to
8 recognize that the standards cannot be formulated to fully
9 protect against all possible manifestations of future cyber
10 intrusion and attack.

11 The NERC standards have grown considerably in
12 both scope and effectiveness over their 14-year history.
13 While much has been done, there remains much to do. There
14 will always be a regulatory lag between the CIP standards
15 and current cyber threats. Acknowledging this lag, there
16 should be a focus to enhance emergency operations and
17 incident response requirements.

18 In this way, even if the standards do not
19 specifically require a control or mitigation for unknown
20 attacks of the future, the standard would still provide
21 guidance to facilitate a response and recovery. For these
22 reasons I believe additional modifications to CIP008 and
23 CIP009 should be a priority for industry consideration. For
24 example, required communication with the EISAC upon
25 identification of a potentially impactful incident rather

1 than upon an actual impact to a reliability service would
2 provide earlier visibility in an effort to protect other
3 utilities.

4 The requirements as they are today would be
5 comparable to a medical professional not sharing the results
6 of your routine medical tests or cancer pre-screening for
7 your awareness and early action, but instead waiting until
8 you had organ failure to alert you that you have Stage 4
9 cancer. The requirement is written at such a high bar that
10 few conclusions can be made or taken from the lack of
11 reports that we see.

12 Also, we need to learn from other NERC
13 reliability standards. I believe the standards need to
14 mature in three ways. One, require a similar level of
15 competency demonstration for the cyber defenders or cyber
16 operators, if you will, at the Bulk Electric System. Two,
17 acquire a level of response knowledge and capability of the
18 certified electric systems operators, ensuring an
19 understanding of appropriate responses to their systems
20 being misused. And three, develop the operating protocols,
21 tools, and capabilities to rapidly ascertain the risk of
22 continuing to operate parts of the system containing attacks
23 and developing approaches to measure the integrity of
24 systems if they're being returned to service.

25 There are many lessons to be learned stemming

1 from the 2015 and '16 Ukraine incidents. We need to move
2 beyond the question of whether similar attacks is possible
3 in the United States and instead shift our focus to
4 mitigation and response requirements with the expectation
5 that a similar or even more impactful attack could occur
6 here. Continued efforts from NERC focused on utility
7 exercises like Grid-x and Dewey-lead industry workshops and
8 private sector provided technical hands-on training will
9 continue to improve our overall capabilities and
10 preparedness.

11 This is a very encouraging area where I believe
12 NERC registered entities are moving far beyond the
13 requirements in the standards. Recently published reports
14 examining the 2016 Ukraine cyber attacks targeting their
15 country-wide transmission system operator, paint a picture
16 of an evolving threat. Analysis of the malware describes a
17 tailored tool for the purpose of causing electrical outages.
18 The flexible and modular tool possesses features that aid
19 the time in collapsing the time it takes to complete the
20 necessary steps to device and launch an attack that can
21 disrupt operations and potentially damage infrastructure
22 assets.

23 Also, it appears that the attacker interest in
24 system protection has moved from information gathering to
25 developing an initial capability to exploit both control and

1 protection. Threats like this demonstrate that we must
2 empower defenders with defensible environments, which the
3 standards do. To this end, though, industry also must have
4 the latitude to experiment and field new prognostic and
5 security technologies that can change the pace to catch up
6 to cyber attackers.

7 As an example, the Idaho National Laboratory and
8 industry partners are further building upon the industry's
9 great strength by developing engineering-centric assessments
10 and mitigation methods called Consequence Driven Cyber
11 Informed Engineering. The goal of this program is to
12 actually engineer out the worst cyber risk that the energy
13 infrastructure faces.

14 Finally, public reports of successful broad axis
15 campaigns and modular toolkits may indicate attackers are
16 becoming more focused on attacking larger numbers of devices
17 to cause widespread impacts. The positive evolution of CIP
18 standards have provided more protections to a greater number
19 of systems and this may need to continue.

20 So with that, I thank the Commission and staff
21 and look forward to our discussions.

22 MR. BARDEE: Thank you, Mike. Next, we have
23 Greg Ford from the Georgia Systems Operations.

24 STATEMENT OF MR. GREGORY FORD

25 MR. FORD: Good afternoon Madame Chair,

1 Commissioner Honorable. I appreciate the opportunity to
2 participate on the panel on behalf of NRECA and our member
3 cooperatives in Georgia. There are no single standard
4 requirement that stands out as the most effective
5 cybersecurity control. Instead, I believe it is the
6 interrelated nature of the controls that together provide a
7 defense in depth posture that makes the NERC CIP standards
8 effective.

9 The key aspects of CIP Version 5 was the
10 introduction of the cyber system impact categorization,
11 which has expanded protection to the entire Bulk Electric
12 System while acknowledging that not all facilities have the
13 same risk profile. While I have noted that standards work
14 together as a whole, it is important to point out that
15 Version 5 introduced controls that are consistent with a key
16 lesson learned from the Ukraine event. CIP Version 5
17 requires that all interactive remote access first pass
18 through an intermediate system and leverage multifactor
19 authentication.

20 In addition the CIP standards, internal controls
21 that the industry is adopting ensure compliance and more
22 aggressively mitigate security risks. We have internal
23 controls not only for CIP operations, but also for other
24 Bulk Electric System operations. We have embraced internal
25 controls as a part of our day-to-day operations to help

1 avoid mistakes and prevent cybersecurity breaches. At GSOC,
2 board-approved corporate goals measuring the implementation
3 and testing of these internal controls are a component of
4 our employees performance pay.

5 We urge restraint on pursuing new mandatory CIP
6 standards. We are still in the first year of CIP Version 5
7 and have not yet completed the implementation of some
8 requirements for low impact systems. Time is still needed
9 to fully implement these standards and absorb the lessons
10 learned from this implementation.

11 Further, we need to avoid thinking that
12 mandatory standards are the only path to improve security.
13 We believe that voluntary recommendations and actions should
14 lead before the mandatory standards because they are faster
15 to implement and more flexible to change. Organizations
16 such as the EISAC are well positioned to coordinate
17 voluntary recommendations to the industry.

18 We also recognize that as the cybersecurity
19 field continues to mature new technologies will be
20 introduced that could improve the overall security posture
21 of the grid. These new advanced security technologies will
22 no doubt come and go. By the time the new technology can be
23 incorporated into a mandatory standard, it may no longer
24 represent the state-of-the-art. The approach moving forward
25 must ensure that a solid security framework is in place, but

1 also enable us to be nimble in the face of an ever-changing
2 threat of our landscape.

3 During the first year of mandatory compliance,
4 we learned that some standards are taking a disproportionate
5 amount of time to execute. In particular, we highlight CIP
6 7 and CIP 10 baseline standards. While we certainly
7 recognize these standards are important, we believe that
8 improved security could be achieved if they focused on
9 having adequate controls in place to achieve the security
10 objective rather than specifying performance details.

11 For instance, the current patching requirement
12 dictates a specific process across all devices to assess and
13 implement security patches within a detailed timeline. An
14 alternative approach could be to focus on the security
15 objective of implementing a flaw remediation and
16 vulnerability management program with the flexibility to
17 recognize different areas of risk and apply resources
18 accordingly.

19 As our industry expands a culture of internal
20 controls, we need to continue to move towards an environment
21 where the focus of the oversight is on ensuring that
22 controls are in place to monitor and maintain compliance and
23 security. In this environment, deficiencies that are
24 detected and corrected by a company's control should not
25 result in a violation.

1 The Electric Subsector Coordinating Council is a
2 key coordination point between the electric sector, the
3 government, and other critical infrastructure, such as
4 telecommunications, oil, natural gas, financial services,
5 transportation, and water. The ESCC is working coordination
6 with the EISAC to bring these sectors together to improve
7 cross-sector awareness and facilitate cross-sector
8 exercises. The upcoming Grid-X4 exercise is just one
9 example of how the electric sector is committed to improving
10 the resiliency and ensuring cyber preparedness.

11 In conclusion, we appreciate the focus and the
12 effort of the Commission to improve the security posture of
13 the grid. The existing CIP standards mandate that necessary
14 elements of a solid foundation cybersecurity program and
15 have contributed significantly to the improved security of
16 our system.

17 I'd like to thank the Commission for the
18 opportunity to participate on the panel and I look forward
19 to questions. Thank you.

20 MR. BARDEE: Thank you, Greg. Next, we have
21 David Ball from AEP.

22 STATEMENT OF MR. DAVID BALL

23 MR. BALL: Good afternoon. On behalf of AEP,
24 I'd like to thank the FERC Commission and staff for the
25 opportunity to speak on this topic.

1 AEP applauds the efforts of the Federal Energy
2 Regulatory Commission in assembling this technical
3 conference on a topic so crucial to the reliability of our
4 nation's electric grid. AEP is one the nation's largest
5 electric utilities delivering electricity and customer
6 energy solutions to nearly 4.5 million customers in 11
7 states.

8 AEP owns the nation's largest electric
9 transmission system with more than 40,000 miles of network
10 transmission facilities. We operate 224,000 miles of
11 distribution lines and rank among the nation's largest
12 electric generators with 26,000 megawatts of capacity, which
13 includes 3200 megawatts of renewable energy.

14 Cybersecurity, like all security, issues is of
15 paramount importance at American Electric Power. We have a
16 robust cybersecurity program at AEP, one that is under
17 continual evaluation for process improvements. We are in
18 constant contact with our state and federal regulators and
19 our regional reliability entities to ensure that we are
20 current on all threats that face us so we can institute the
21 best possible protections.

22 AEP would like to thank FERC and NERC for the
23 standards created and enforced in the area of cybersecurity.
24 The standards serve as a starting point help drive a common
25 framework for the cyber and physical security protections in

1 which AEP engages. The checklist of NERC standards is a
2 solid foundation, but if we were to engage in those
3 activities and nothing more our Bulk Electric System could
4 be seriously at risk.

5 AEP engages in many voluntary actions to improve
6 both the overall cyber and physical security of our system
7 that is part of our large Bulk Power System. These are
8 precautions and protections we implement because they are
9 the right thing to do.

10 You asked about specific protections and asked
11 us to relate our practices to internal crisis that have
12 arisen in the past few years, most specifically, the attacks
13 on the Ukraine electric grid. Speaking to the 2015 Ukraine
14 cyber attack, security regulations already in place in this
15 country would prevent such an attack from occurring here.
16 The attackers in the Ukraine incident infiltrated the cyber
17 systems and observed work patterns and practices for months
18 before seizing control of the Ukraine grid. Their efforts
19 were enabled by the fact that the business systems and
20 operations systems were integrated. This mixing of
21 functions violates U.S. regulations.

22 Because our systems are separate, an attacker
23 could not hack into the business functions of U.S. grid
24 operations as a means of access to operational systems. For
25 example, standards for patching, configuration, change

1 management, and malicious code prevention have driven
2 industry to implement a framework of controls to protect our
3 critical system from vulnerabilities and exposure to cyber
4 attacks such as Wannacry attack in May of this year.

5 The CIP standards also have helped in
6 restricting communications in and out of our SCADA networks,
7 which we saw exploited in Ukraine in 2015. Also, we require
8 intermittent systems and multifactor authentication to
9 ensure only authorized personnel and communications can
10 access our SCADA network.

11 We need additional transparency and consistency
12 in the auditing process. Currently, different regions view
13 standards differently and we sometimes are challenged by
14 those inconsistencies as we strive to meet the demands of
15 three regional entities. Additionally, when problems are
16 revealed during the auditing process those issues need to be
17 transparently outlined in an audit report issued by the
18 regional entity. Transparency and consistent terminology in
19 communicating violations would greatly enhance the benefits
20 of these audits.

21 Another area to consider related to consistency
22 is our frequent standard revisions. This presents a risk as
23 the resources needed to improve and maintain cybersecurity
24 often are consumed with keeping compliance processes
25 up-to-date to reflect standard revisions. For the past two

1 years, the industry has been advocating for increased
2 screening processes for new hires in the cybersecurity
3 arena. Currently, background checks are conducted by
4 third-party vendors using publicly available data.

5 To increase security of the grid, we should be
6 able to access fingerprint records housed at the Federal
7 Bureau of Investigation. This would not necessarily need to
8 be a standard practice for utility new hires, but could be
9 restricted to those working in critical infrastructure and
10 Bulk Power System positions. The industry would benefit
11 greatly from the Commission's support in this endeavor.

12 In conclusion, I would like to reiterate that
13 AEP is fully committed the security of the electric grid as
14 discussed above, consistency and transparency and NERC
15 requirements would help facilitate our compliance, support
16 from the Commission as we advocate for FBI assistance in
17 background checks of new employees would be helpful, and
18 strong communication and relationships between the
19 Commission and the states would be beneficial as we work to
20 ensure the security of the grid.

21 Again, we appreciate the opportunity and I look
22 forward to your questions.

23 MR. BARDEE: Thank you, David. Next, we have
24 Nathan Mitchell from APPA.

25 STATEMENT OF NATHAN MITCHELL

1 MR. MITCHELL: Thank you. I want to thank the
2 Commissioners and FERC staff for inviting me to participate
3 in this technical conference on grid security. I am here
4 representing the over 2,000 municipal and state-owned
5 electric utilities that make up public power.

6 I would like to remind the Commission that APPA
7 and its member utilities have supported the work of the
8 industry-led standard drafting teams in their efforts to
9 develop risk-based standards through the NERC standard
10 development process. These standards provide a needed
11 baseline of cybersecurity controls to protect the Bulk
12 Electric System; however, we cannot continue to write new
13 standards to address every threat. APPA believes that the
14 CIP standards need to reach a steady state.

15 We are encouraged by FERC staff's recent request
16 for input on how standards can be made more efficient while
17 maintaining their effectiveness. APPA stands ready to
18 assist the Commission with its request to right size the
19 standards to make them less burdensome on industry.

20 Please don't take my suggestion as an indication
21 that we should not continue to protect our system from
22 ever-increasing cyber threats. I believe that more can and
23 should be done to address the cyber risks to electric
24 utilities, but these efforts should be focused on voluntary
25 programs outside of the NERC standard development process.

1 I would like to highlight one voluntary program being
2 developed to help public power utilities address cyber
3 risks.

4 As I provide a description of these efforts, the
5 Commission should recognize that it meshes with other
6 industry, government, and university efforts discussed by my
7 fellow panelists and to make up a community approach to
8 cybersecurity. APPS has partnered with the Department of
9 Energy to undertake an extensive, multi-year, multi-task
10 project of improving the cyber resiliency and security
11 posture of public power utilities.

12 In this project, APPA is providing public power
13 utilities with an array of security tools, technologies, and
14 programs so that the community is better able to understand,
15 install, and implement new cybersecurity programs.
16 Importantly, this project will bolster the programs for many
17 small utilities that do not own or operate bulk electric
18 system assets and thereby, not registered with NERC.

19 First, we have developed a simplified maturity
20 model as a tool for small utilities to understand the
21 characteristics of a mature cybersecurity program. The
22 maturity model will help public power utilities enhance
23 their cybersecurity program based on their organizational
24 structure risk profile. The project has begun to evaluate
25 information-sharing tools and technologies that will improve

1 threat information sharing between utilities and the EISAC.
2 Recommendations will be developed on how best to
3 characterize, assess, disclose, and disseminate secure
4 threat information that is useful and useable for public
5 power utilities.

6 And I believe that workforce development is
7 essential to ensuring that public power utilities have the
8 proper human resources to manage their cybersecurity
9 programs. Public power utilities often face difficulties in
10 identifying and recruiting qualified cyber and physical
11 security candidates due to their location and/or size.
12 Working with universities, community colleges, and other
13 educational and training institutions across the nation, we
14 will explore the development of educational programs that
15 meet the staffing needs of a typical public power utility.
16 We will then evaluate if online opportunities can be
17 developed so that they can be easily accessible to remote
18 communities.

19 I look forward to the comments of the other
20 panelists on how we can educate our current and future
21 workforce to address these cybersecurity challenges.

22 Finally, the industry needs a robust cyber
23 incident response plan. APPA plans to develop a model
24 playbook which will address potential roles and
25 responsibilities within small public power utility to

1 respond to a security incident. In many small utilities,
2 one person has many roles and responsibilities. As such, a
3 step-by-step playbook on what actions to take first, who to
4 coordinate with, and other types of response activities will
5 supplement existing natural disaster mutual aid programs.

6 I refer the Commission to the other industry
7 incident response playbooks, such as the one created by the
8 Electricity Subsector Coordinating Council, as a model for
9 the public/private partnership needed to respond to a
10 national level event. I believe that APPA's voluntary
11 cybersecurity program will help improve the overall
12 cybersecurity posture of public power utilities and the
13 Bulk Power System.

14 I appreciate the opportunity to provide these
15 comments and look forward to your questions.

16 MR. BARDEE: Thank you, Nathan. Next, we have
17 Commissioner Robert Scott from the New Hampshire PUC.

18 STATEMENT OF COMMISSIONER ROBERT SCOTT

19 COMMISSIONER SCOTT: Thank you. And Chair
20 LaFleur and Commissioner Honorable and staff, I appreciate
21 the opportunity to speak. It's always good to see you
22 again.

23 I speak today as a Commissioner for the New
24 Hampshire Public Utilities Commission. In one week, I will
25 be the Commissioner for the Department of Environmental

1 Services for New Hampshire; however, I want to make sure
2 that the Commission is aware, recognizing the importance of
3 the work that's been going in New England. The governor's
4 asked me to also act as the special advisor on critical
5 infrastructure for cybersecurity, so in the context of no
6 good deed goes unpunished, I get to do that work also. So
7 in that context, I hope to still be able to engage with you
8 and your staff.

9 Again, speaking as a state regulator, I also
10 wanted to thank you for allowing and bringing the state
11 perspective to this panel also. I think that's an important
12 one. And I'll state the obvious, at least from my point of
13 view. Obviously, the Bulk Electric System is very important
14 to us all. However, as I'm sure you're aware, that the
15 distribution systems also present a threat to the Bulk
16 Electric System, so we need to work together in that
17 capacity. Or to put it another way, obviously, NERC and
18 FERC regulate the wholesale side of things, but unless the
19 state regulators are involved in an effective way and the
20 distribution utilities are involved in an effective way I
21 don't think we get where we need to go. Certainly, any
22 artificial boundary like that is not going to be recognized
23 by the adversaries that we're looking at for cybersecurity.

24 Our experience in New England demonstrates this
25 interdependence. What we found is in working with our

1 partnerships that we've developed cybersecurity for our
2 largest distribution utilities and the transmission owners
3 are basically one in the same, so they're centrally managed,
4 rightly so. It's generally the same staff and the same
5 systems, so it's very hard, at least in New England, which I
6 don't think is that unique to differentiate the two nor
7 should there be.

8 In that context, I have some recommendations to
9 point to, based on our efforts in New England. First and
10 foremost, is the important of partnerships, we partner with
11 the National Guard in the region, with the Department of
12 Homeland Security, particular, the INA side of DHS.
13 Certainly, FERC, the Office of Energy infrastructure
14 Security has been a great asset for all the states, ISO New
15 England, and to a lesser extent the FBI and Department of
16 Energy.

17 I'll highlight. We've talked in your
18 supplemental notice and some of the other panelists have
19 talked about the Ukraine incidents that are going on, which
20 are very concerning. Another incident which raise light in
21 New England and thankfully it wasn't -- I don't want to say
22 it wasn't real, but it was over -- incorrectly reported it
23 was Burlington Electric situation.

24 That highlighted to me anyways as a state
25 regulator the importance of those partnerships and the

1 importance of having relationships already. So we had in
2 that situation -- I'm not going to characterize it as good
3 or bad, but we had a governor make some very strong
4 statements. So the governors need to know what to say and
5 what's going on. I know, for me, I received a call. I was
6 shopping Saturday morning and I got a call from the
7 governor's office what's going on. And thankfully because
8 we have these partnerships I was able to say I've already
9 been in contact with these people. They're on the phone now
10 with EISAC and yes, it's all under control. We're good to
11 go. Those things are important to states.

12 So the other part of that, and again the
13 Burlington Electric incident provided a good insight for the
14 need of this is we need to exercise these things. So again,
15 FERC, OEIS has developed some checklists that helped with
16 the states in New England that we've been looking at. That
17 has now set us up so that we can now start to conduct some
18 exercises. So again, you don't know what you don't know
19 until you start going through these types of scenarios.

20 Last week, with the National Guard, we had state
21 regulators. FERC had staff there. New England Utilities,
22 ISO New England were all participating in the New England
23 National Guard Cyber Yankee Event, so that was yet another
24 way you taking it to the next level of working together and
25 understanding each other.

1 Another point I'd like to raise is security
2 clearances. As the Commission's aware, a few years ago New
3 England was in a very unique position as we had three state
4 commissioners from three different states, myself included,
5 with top secret or above clearances and we knew how to spell
6 the word "cyber." So in that context, we were able to have
7 discussions with the intelligence community, with our
8 partners in Kansas, among others, as well as to start to
9 talk to our utilities on the importance of collaborating on
10 a classified level.

11 That resulted in New England of we've actually
12 hosted in New Hampshire. We've been able to host a meeting
13 of those obviously appropriately cleared to bring utilities
14 and regulators in so that they could share information with
15 each other, talk about common experiences at that level.
16 That's something they haven't really been able to do in the
17 past with that. Also, this experience has also allowed us
18 to start to work to get higher level clearances for
19 appropriate utilities, so we feel that's an important
20 consideration moving forward.

21 Workforce development, again, New England's been
22 taking a regional approach, understanding that we're all
23 interconnected, especially in New England. The State of
24 Maine, as part of our regional effort, is actually hiring a
25 gentleman July 3 who was working with Cyber Command. He's

1 retiring. He has the credentials and clearance, et cetera.
2 He'll be working certainly as a State of Maine employee, but
3 he'll also be a regional asset to our efforts.

4 Having said that, that's kind of a work around
5 what I think the Commission surely understand. At the state
6 level, we're generally not staffed for these types of
7 things. We don't have the expertise. We have accountants.
8 You know we're here to be -- regulators and this is a new
9 ground for us. So NARUC's done some groundwork, which has
10 been very helpful, but that's something else that continues
11 to need -- I think will need help because I don't believe
12 this issue is going away.

13 Finally, again, I want to put a shout out to the
14 FERC Office of Information Security -- Office of Energy
15 Infrastructure Security. They've been a really great
16 resource for our states and if we've called they've been
17 very responsive to us, so I want to throw that out as a best
18 practice. Perhaps other agencies could do the same.

19 So with that, I'll close my remarks.

20 MR. BARDEE: Thank you, Commissioner. And
21 Brandon Wales from DHS.

22 STATEMENT OF BRANDON WALES

23 MR. WALES: Thank you. Good afternoon, Madame
24 Chair, Commissioner Honorable and assembled staff. Thank
25 you for the opportunity to address you today on behalf of

1 the Department of Homeland Security National Protection and
2 Program Directorate.

3 MPPD leads the national effort to protect and
4 enhance the resilience of the nation's physical and cyber
5 infrastructure. And within MPPD, I oversee the Office of
6 Cyber and Infrastructure Analysis, whose mission is to
7 provide analytic support to our collective efforts to
8 strengthen the security and resilience of our
9 infrastructure and respond and recover from natural hazards
10 and manmade events.

11 My testimony today will focus on two issues of
12 interest in response to the questions posed to the panel.
13 The first issue covers the need for traditional electrical
14 utility planning activities to embrace cyber-base
15 contingencies and the second issue focuses on the efforts of
16 the Department of Homeland Security to increase and enhance
17 information sharing and analysis activities with the
18 electric sector.

19 First, as electric utilities adapt and increase
20 their use of industrial control systems to automate and
21 increase the efficiency of operations, cyber-related
22 consequences of adoption of new practices and procedures
23 should be carefully studied and evaluated to understand the
24 potential impact of their loss or disruption to reliable
25 operation of the electrical grid.

1 Cyber hazards do not have as well characterized
2 likelihood and consequences to critical infrastructure
3 assets and systems and cyber events can simultaneously occur
4 over large geographic areas without respect to traditional
5 boundaries of electric system operation or control. These
6 events will stress traditional emergency management and
7 response procedures designed to contain and constrain system
8 problems.

9 To understand potential system impacts, a
10 natural evolution may be for system planners to create a
11 number of cyber contingency cases which could incorporate a
12 variety of cyber threats that could affect system monitoring
13 or communications and affect infrastructure operations.
14 Cyber scenarios should have characteristics distinct from
15 current hazards to challenges the utility's understanding of
16 the degree of the impact possible from cyber events.

17 Second, the Department of Homeland Security
18 works with partners at all levels of government and from the
19 private and nonprofit sectors to share information and build
20 greater trust to make our cyber and physical infrastructures
21 more secure. This includes sharing information through
22 platforms such as the Critical Infrastructure Advisory
23 Council, the Electric Subsector Coordinating Council, and
24 the Department's Physical and Cybersecurity Operation
25 Centers, the National Infrastructure Coordinating Center,

1 the NIC, and the National Cybersecurity and Communications
2 Integration Center, the NCSCIC. Information released by the
3 NCSCIC and NIC maybe subsequently shared to the electric
4 subsectors, owners, and operators through the Electricity
5 Information Sharing and Analysis Center.

6 One of DHS's most prominent initiatives to
7 enhance information sharing between the federal government
8 and private sector that I would like to highlight is called
9 Automated Indicator Sharing. AIS connects participating
10 organizations to a DHS management system at the INCIC that
11 allows bidirectional sharing of cyber threat indicators,
12 helping to build the common, shared knowledge of current
13 cyber threats.

14 AIS is a part of the Department's efforts to
15 create an ecosystem where as soon as a company or federal
16 agency observes an attempted compromise the indicator will
17 be shared in real time with all of our partners, enabling
18 them to protect themselves from that threat. This means
19 adversaries can only use an attack once, increasing their
20 costs, and ultimately reducing the prevalence of such
21 attacks.

22 Another initiative to facilitate information
23 sharing is the Cyber Information Sharing and Collaboration
24 Program, which enables the sharing of cybersecurity threat
25 information in a secure fashion with entities across

1 critical infrastructure sectors. CISCP, as it is called,
2 provides for analytic collaboration between DHS and
3 participating entities, and when appropriate, allows
4 participating entities to embed analysts on INCIC watch
5 floor. These efforts are designed to feed and complement
6 energy sector initiatives that were highlighted in Mark
7 Sachs' written testimony.

8 Future cyber events may not directly target
9 electric power owners and operators, but may impact
10 connected infrastructure systems, which the Bulk Electric
11 System depends to ensure reliable operations. As our
12 information technology systems become further
13 interconnected and interwoven, disruptions will no longer be
14 limited to a single infrastructure asset or system with
15 consequences potentially far-reaching.

16 The issues I have raised here today are complex
17 and don't lend themselves to the easy, silver bullet
18 solutions. The Department of Homeland Security is committed
19 to working with FERC and our partners in the electric sector
20 to begin working these and other challenges facing the
21 systems that power our country.

22 Thank you and I look forward to your questions.

23 MR. BARDEE: Thank you, Brandon. We'll start
24 our questioning with Commissioner Honorable.

25 COMMISSIONER HONORABLE: Thank you, Mike, and

1 thank you gentlemen for your perspectives. I have a lot of
2 ground I'd like to cover, but first I'd like to start by
3 thanking each of you for the value you bring to this
4 important work and I think we end it on an important note
5 about focusing on the importance of this work and how much
6 more challenging it was.

7 I remember, and I've been hearkening back to my
8 state regulator days, but I remember we had a physical
9 attack on our grid and that was my first encounter with the
10 Joint Terrorism Taskforce and the friends that we have at
11 the Department of Homeland Security thank you for your work.
12 And I was able when I NARUC president to participate on the
13 Electric Subsector Coordinating Council.

14 Also, Brandon, your colleague, John McClain
15 sends me your daily updates, so thank you. I am well
16 informed about the world of cyber, but it's a shame the
17 state of affairs these days requires that, but it absolutely
18 -- going back to Marcus's point, requires our vigilance that
19 we're aware and that we're equipping ourselves with the
20 tools to lead and to lead well.

21 Bob, I mentioned earlier today for our work with
22 our state colleague, thank you. And I recall when I signed
23 up to be a Commissioner, and I know it's the same for you;
24 you had no idea about all of this part of it. And now
25 you're going over -- thank you for your service -- to

1 another job and the governor's managed somehow to get you to
2 do both at the same time. Thank you for saying yes because
3 this work is so important. And men and women who have your
4 experience and expertise are few and fair between, so thank
5 you for saying yes. Your state colleague, the region will
6 benefit, but also we will as well. So thank you for coming
7 back for more.

8 I'm really pleased to end with this session
9 because I think your perspectives have really covered the
10 gamut of the fact that we are all working so hard on a
11 number of aspects of grid security.

12 And I want to start with, Marcus, you talked
13 about -- and thank you for your discussion about the threats
14 and how different they are and it's important that we not
15 lump all of them into one. We tend to talk about cyber
16 generally when there are a number of aspects about that work
17 that we need a singular focus.

18 But you spoke about ransomware and disruptive
19 threats. I wanted to focus on the crash override malware
20 because you all recommended steps that utilities need to
21 take to protect themselves and I appreciate your work along
22 with DOE and our Office of Energy Infrastructure Security to
23 really study what occurred in Ukraine to make sure it
24 doesn't happen it here, and if we do have a threat or an
25 attack, how we can quickly rebound. And I want to ask you

1 to just highlight some of the challenges that were presented
2 by this malware and the strategies that we can employ to
3 fend against that.

4 MR. SACHS: Thank you, Commissioner. That
5 malware was interesting. First, we were not aware of it in
6 the United States until a Friday and others were aware of it
7 maybe two or three weeks earlier and it was not something
8 widely known by any means. But do a good, strong
9 public/private partnership on a Friday afternoon many of us
10 working the weekend were able to get information out on
11 Monday morning.

12 The group that discovered it in Europe had
13 already planned to do a release to the media on their own.
14 That group found a group in the United States, another
15 private sector organization. They asked them would just
16 please review what we're doing to make sure we're not saying
17 anything technically wrong. That U.S. group said, well, if
18 you're going to go live in the media, we need to activate.
19 You know put up the bat sign to get people involved, so it
20 was a very strong effort that just came together because the
21 partnerships were in place. That if we didn't have those
22 partnerships already existing, we would've failed that
23 weekend and you would've had a media splash on Monday
24 morning that none of us would've been ready for.

25 So the malware itself I don't know that we

1 necessarily need to focus on the ones and zeros of the
2 malware.

3 COMMISSIONER HONORABLE: We don't. I just want
4 to get your takeaways about it.

5 MR. SACHS: Absolutely. And I think there's so
6 much more to learn about our adversaries. So when this
7 malware was found, it is showing us new techniques, tactics,
8 and procedures, or TTPs that again are long and theoretical,
9 but now we're actually seeing it in software where an
10 adversary who can build a modular tool, as we like to call
11 it. It's almost like a Swiss Army knife. You've heard that
12 analogy used.

13 COMMISSIONER HONORABLE: Yes.

14 MR. SACHS: Where this thing can be customized
15 for different types of targets. It can lie resident
16 undetected. It looks like regular software, but yet, it has
17 a little evil bit to it. So instead of looking for
18 signature, which is our typical way of looking for it,
19 strings, ones and zeros, IP addresses, we now need to look
20 more for behavior-based signatures. Things that aren't
21 working like they're supposed to, which then requires a much
22 deeper knowledge of what is it supposed to be doing, what is
23 baseline, what is normal, and then being able to recognize
24 what is not normal and then quickly determining is that a
25 human error causing it to be not normal or is it something

1 we don't understand, which then they say, oh, we have a
2 cyber problem going on.

3 And so this is going to require again another
4 level of thinking versus just looking for signatures and
5 malicious code, which is what we've really been doing a lot
6 of and we're getting good at it, but it doesn't stop there.
7 Again, I was thinking about agility. We have to keep
8 rethinking how we think about security.

9 COMMISSIONER HONORABLE: Indeed. I don't know
10 if anyone else wants to chime on that point, but if not, I
11 will move onto the next one.

12 In thinking about your point about the
13 partnerships, and it's similar to what Bob Scott mentioned
14 about the call he got and because of his networks he was
15 able to respond quickly about what was occurring, I want to
16 emphasize the global nature of this work. Thank you for
17 mentioning that.

18 I often say energy is global. That's why our
19 work and why we invite our international colleagues here.
20 We're working on the same issues. We're working on the same
21 challenges and in particular in the grid security space, in
22 the cyber space that's especially important. So I thank you
23 for cultivating and nurturing that climate.

24 And to Bob Scott's point about lessons learned
25 about that Burlington incident, I wanted to say that, yes,

1 we learned the importance of being prepared to respond, as
2 Marcus just mentioned, being prepared with what we need to
3 say in the media and what we don't. But another thing is
4 something you mentioned and that's ensuring that we have a
5 strong partnership. And I think, honestly, and I'll say it,
6 for our part in the federal government we had some missteps
7 too in that incident. And I think we can all learn from
8 that and our goal should be inspire and strive for trust and
9 for our ability to work well at all times. So I appreciate
10 that you were candid about your takeaway. I want to be
11 candid about us too, so we'll have to learn to trust and
12 protect when industry provides us with information
13 voluntarily that we keep it, as we should and as we've
14 promised.

15 I want to turn also to the workforce question.
16 Greg Scott and Mr. Ball thank you both because you've talked
17 about workforce strategies.

18 Greg, you spoke about performance-based metrics
19 with compensation. Hello, that gets everybody's attention.
20 You start messing with my money, then I'm going to pay
21 attention and what the hoops I have to jump through. That's
22 important. And I want to ask others if you have grid
23 security related performance metrics in your places of work,
24 so think about that.

25 But also, David Ball mentioned your workforce

1 component as well and I want to tell you both how much I
2 appreciate that. It's more than just us going to meetings
3 and giving speeches and hearing lectures and reading
4 studies. This is about making sure our men and women are
5 trained because we're only as safe as the weakest link.
6 That applies to our facilities and it applies to manpower
7 too, so I was very pleased about staff's question for you.
8 What can the Commission do to facilitate or encourage a
9 strong cyber workforce?

10 I think about that internally. What are we
11 doing to make sure that our staff is trained? We have
12 trainings that focus on not clicking through on that darn
13 thing we know we don't need to click on? What does that
14 also elate to with regard to hiring the best? That's a
15 great story about Maine snagging the gentleman that's
16 retiring. Those folks are few and far between as well.

17 How can we ensure in the same way that we're
18 hiring the best market operators, transmission planners,
19 that we're hiring skilled people who are equipped to help us
20 secure the grid? So two questions, one is about your
21 strategies where you are about making sure that grid
22 security is a priority and then what are you focused on
23 externally for hiring talent.

24 And I think we're getting feedback, so if you
25 aren't speaking, please turn off your microphone. Thank

1 you.

2 MR. FORD: Thank you, Commissioner Honorable,
3 for that acknowledgement on our performance and how we
4 handle things. When we started with this route 10 years
5 ago, of course, security and reliability is important to us
6 all. It was very important to us as we saw this culture
7 changing we wanted to try to get ahead of it and we felt
8 like there was no better way to get people's attention and
9 get the culture in the right frame of mind in putting
10 performance pay type of activities in that loop.

11 So every year we have always had measures or
12 metrics that were related to performance pay. And when
13 you're talking about changing to the culture of
14 cybersecurity years ago -- 10 years ago, I'll be the first
15 to admit cybersecurity to me was getting my antivirus
16 updated on my computer and that was it. Today it really
17 consists of various things, starting, one, with your
18 people. You have to train. You have to make them aware of
19 things. You have to continue to hit those exercises to get
20 them to the right behavior that you want, phishing
21 exercises, for example. Don't just do one phishing exercise
22 a year. Do 10, 15, every how many it takes to get that
23 culture to start looking at those external emails
24 differently and not clicking on links.

25 Processes, the standards are a big part of that

1 and our internal controls. Now we know and have knowledge
2 of our inventory. We have controls around protecting those
3 assets. We're concerned about the isolation factor of
4 whether we're using data diodes or physical air gaps,
5 whatever the case may be. We have patching processes. All
6 of these things change the culture to help us look for these
7 malware detections and intrusion detections.

8 And lastly, is our technology and I think we're
9 now moving into that phase of our process, which is making
10 sure our vendors give us good, high quality technology of
11 our computer systems so that we can bring all this together
12 as one business unit to support our system. So we've been
13 doing it for a while that way. As far as our performance,
14 it was geared towards changing that culture. From the
15 building and workforce perspective or question, that is
16 always a tough one because the electric utility 30 years ago
17 was the place to go to out of college. Today it's harder
18 and harder to pull those college students, so we're always
19 looking for ways that we can help encourage that.

20 Once we have them in place, the Department of
21 Energy, Department of Homeland Security, Department of
22 Defense, they have very good, knowledgeable people at
23 getting training. The industry can learn from getting
24 training from those organizations as well. I would ask for
25 the Commission consider helping us foster that along even

1 further than what we've done.

2 COMMISSIONER HONORABLE: Thank you. And I hope
3 we'll accept that challenge because we do a terrific job, if
4 I might say so, of working with our state colleagues, with
5 industry. If I go out on a tour of a construction site and
6 if I see something that's maybe not quite right -- I'm not
7 an expert, but I might kindly say would you all be open to
8 an architectural review? I might mention it to Joe and to
9 Dave and we've really fostered some great relationships that
10 way. It's not a "gotcha" exercise. It's our way of really
11 helping to strengthen your physical security, your
12 infrastructure, your grid security and so it helps us all.

13 So I think you're right in that we can always
14 find new opportunities to support the work that you're
15 doing. And we, too, are challenged with that. We happen to
16 rank really high for attracting millennial to our agency and
17 we're proud of that. But then, some of you guys like to
18 pick them off after a few years, so it's an ever-evolving
19 thing for us.

20 Is there anyone else that has a comment? Yes?

21 MR. BALL: In our written testimony, we referred
22 to hybrid skill sets in cybersecurity and this may be
23 something that Michael can expand a little bit on as well,
24 but it's easier to find individuals who are familiar with
25 cybersecurity when it comes to traditional IT and

1 Windows-based infrastructure. The more difficult skill set
2 to find today is individuals who have a power systems
3 background who is familiar with the OT technology and
4 understands what it means to build cybersecurity into the OT
5 network. And for us, inside of AP, that would be our SCADA
6 network.

7 COMMISSIONER HONORABLE: Commissioner Scott?

8 COMMISSIONER SCOTT: Again, from the microcosm
9 of New England, I just did some math here. Out of the five
10 major utilities that we've been working with in the past
11 four months there's been four staff changeovers. You know
12 four key people that we were working with say, okay, I'm
13 leaving. And the good news is the utilities are committed
14 to this, so they're able to say, okay, here's the person
15 who's going to replace them. But again, I'm not sure, but
16 my guess is when you have people of these types of skills
17 are very marketable and they're very mobile.

18 Having said the obvious, and you've worked at a
19 commission at the state level, we can't hope to attract with
20 other people. And I mentioned the Maine experience. That
21 was the stars aligning just right, so you had a gentleman
22 who is not for the money. He wants to relocate to a certain
23 area. He has a retirement, so we're able to capitalize on
24 that, but that's a big challenge for the states. We can't
25 attract and retain the people with those types of skills.

1 COMMISSIONER HONORABLE: And I appreciate that.
2 And honestly, I'll admit this; I've called people and said
3 enough. You've taken enough of our people after the third
4 swipe. One of them may be sitting in the room today, so I
5 won't say the entity, but I did call and say enough already
6 now. We've got work to do too. Leave us some of our good
7 people. But it is a challenge for us and this isn't a fluff
8 issue for me.

9 When I came to FERC, 40 percent of the energy
10 sector was eligible for retirement. When you think about
11 this most important function of ensuring it's security and
12 it's safe, and I just said it in a speech a couple of days
13 ago, what's the point of having affordable, diverse energy
14 if it's not safe and secure. And so the work that you're
15 doing and our efforts to attract people to carry it out is
16 key. And I'm preaching to the choir, but I appreciate that
17 you've taking the time to share your experiences. Anyone
18 else?

19 MR. ASSANTE: I would just add that coming from
20 a training organization it's important to note that power
21 utilities are the leading sector in industrial and
22 infrastructure area training their staff, and the training
23 goes to the place where we've seen automation professionals,
24 power engineers, even dispatchers receiving cybersecurity
25 training in order to understand that in lead teams. So

1 we've definitely seen that from the electric sector.

2 I do think the standards and the awareness and
3 the industry's understanding of its importance to
4 reliability has driven that. And I would say that the grid
5 exercises is also an incredible forum which has brought both
6 the engineering disciplines and the IT support and OT
7 ICS/SCADAS support groups together to deal with multi-facet
8 scenarios.

9 And in my testimony where I called for having to
10 deal with things like operating protocols, one of the things
11 that Ukraine taught me for sure was that the attack was
12 absolutely structured in 2015 against the dispatchers. They
13 lost the UPS and lighting and their phones in their own
14 control centers and it was very clear that understanding
15 that. And I do believe the grid exercise platform has been
16 an incredible to industry and government partnership in
17 order to be able to accomplish some of that learning,
18 understand it, digest it, and develop the protocols that
19 we'll need to deal with these types of things.

20 COMMISSIONER HONORABLE: I often say there but
21 by the grace of God we go, and so we have the benefit of
22 learning from that and employing it in our operation
23 centers.

24 MR. SACHS: Let me just make two quick points.
25 One is that this is fortunately not a new problem. I can

1 recall as early as 1999 when the Defense Department was
2 first wrestling with what do we do about cybersecurity
3 outside of the classified world, that one of the questions
4 brought up immediately was what do we do about SCADA and so
5 the term was in popular use almost 20 years. And we knew
6 that there was growing issue and we knew there was a
7 workforce problem.

8 This may have been talked about, this Grid-X
9 thing that we do every couple years I think is so unique to
10 us, but we're also seeing in the educational world a growing
11 number of colleges, universities, and even high schools that
12 are doing security-type exercises. And we're seeing this
13 begin to grow almost organically, almost like sports,
14 soccer, baseball, other things, very competitive.

15 This is good news and it's something we need to
16 leverage and enhance and really kind of make it an all
17 American thing that getting involved in cybersecurity as a
18 career field early is absolutely what we want these young
19 kids to do. Don't wait until you're 30 or 40 to discover
20 cybersecurity, but discover it when you're 13 or 14 and
21 really just dive into it.

22 COMMISSIONER HONORABLE: All I can say to that
23 is Amen. And I spoke at an event in Houston maybe last year
24 and an eight-year-old asked me about cybersecurity and it
25 blew my away, but I thought kudos to you guys. I mean

1 someone has been talking about in a way that got the
2 interest of an eight-year-old and that's what we need, so I
3 couldn't agree with you more, and I won't say another word
4 after that.

5 MR. GOVINDARASU: Just a quick comment, I think
6 these are excellent points. As you know, the cybersecurity
7 for the grid is an interdisciplinary field. We need to
8 educate engineers, our future students who are featured in
9 -- bringing both the cyber and physical flavor. I think a
10 lot of universities have education program in cyber physical
11 security for the grid funded by DOE, National Science
12 Foundation, and so on.

13 As part of an effort, there are also
14 hack-a-thon, cyber difference competition creating markup
15 similar to the grid exercise. Those things are happening.
16 Those are very well-established efforts. But the critical
17 thing for both things to be successful is
18 industry/university partnership. Universities they do
19 things well with the education, but they need to understand
20 the real, practical scenarios and those partnerships need to
21 be center, but there is a lot more to happen.

22 That may not only be a training feature
23 engineers, but also the current engineers who are in the
24 field they could take certificate courses or graduate
25 courses or cybersecurity training sessions like grid

1 security conferences and so on. So the universities have a
2 critical role in workforce development, development in
3 partnership with industry and other Federal Agencies. Thank
4 you.

5 CHAIRMAN LA FLEUR: Well, thank you Collette.
6 And thank you all very much. I want to especially thank Mr.
7 Wales for coming over from the DHS. It's always important
8 to have our government partners here.

9 A very interesting conversation, I was just
10 looking behind me because my summer intern this summer, who
11 was here for the morning session, but I think she's writing
12 a speech, won some kind of hacking contest. I don't
13 remember, first place in some Hack Princeton or Hack America
14 or Hack-a-Thon, which I believe is just what you were
15 talking about. You see they didn't have that when I was
16 there since I don't even know what it's called.

17 I have a couple of questions. The first thing I
18 want to talk about, Marcus, you mentioned in your pre-file
19 testimony that there were new data sources to better
20 understand the security landscape and Mr. Assante talked
21 about -- I believe it was you, Michael, who said that the
22 standards are too backward looking and we need more leading
23 indicators of things.

24 Are there leading indicators of cybersecurity
25 issues that we can develop? You know you've talked about

1 faint signals in other places. Some of the standards, I
2 think, are intended to do that, intended to think if you're
3 not careful about passwords you might not be careful about
4 firewalls or air gaps or other things, but are there more
5 cyber leading indicators we can look for in the system that
6 will help?

7 MR. SACHS: We've certainly learned that cyber
8 is not like a predictable system, so typically, when you do
9 standards it's because you can predict a behavior. In
10 Physics, you know like a railroad.

11 CHAIRMAN LA FLEUR: Like a safety pyramid, if
12 you do so many of these you'll have so many of those.

13 MR. SACHS: Right. But security does have a
14 baseline. There are some fundamental things that we all do.
15 We call it hygiene. We call it best practices. That, of
16 course, can be done, but where the adversary works is above
17 that and the adversary doesn't care how compliant you are.
18 Doesn't care which standards you've done. They don't care.
19 They're just looking for ways to get in. So this goes back
20 to then, well, how do find -- what are those faint signals?
21 How can we see where the adversary is punching around
22 looking for a way to get in?

23 You're familiar with our CRIP Program, the Cyber
24 Risk Information Program? That generates an enormous amount
25 of information about ourselves. We're able to look through

1 that information and find things -- as I was saying earlier,
2 look for things that aren't normal, something new that's
3 happened, something we can't explain and began to ask lots
4 of questions. Some of the best analysts out there are those
5 who are curiosity seekers. They just see something that
6 doesn't look right and let's just start going down that road
7 to see where it takes us. We may not uncover anything or we
8 may uncover some brand new malware nobody's ever seen
9 before, a new technique.

10 The information sharing, as Brandon mentioned of
11 the AIS Program, we're embracing that. We're building out a
12 pilot, so we're going to do the automatic information
13 sharing. So again, if some entity sees something that's not
14 right let the computer share that with other computers. The
15 human tends to slow things down, but the human mind is
16 something very special and can see things that are
17 different. It can ask questions that a computer can't ask.
18 A computer often doesn't ask why is something happening. It
19 just says it is happening, but the human mind could say why
20 and connect dots, as we like to say it.

21 So I think as we are getting better at
22 understanding what security is, we're getting better at
23 detecting when security events are happening and then
24 getting better at analyzing them and asking that "Why"
25 question so we can get the word out, so we can get others

1 involved. And always I'll go back to the partnerships.
2 The more people that we have -- it doesn't matter who
3 employs you, whether it's private sector or individual or
4 government, it doesn't matter. If you've got a good brain
5 and you want to jump into this, the ocean is wide open and
6 we need people there. We need them collaborating across all
7 these boundaries. It's not competitive. You know this is
8 all about security of our way of life and so the more people
9 we have doing that the better it is for all of us.

10 CHAIRMAN LA FLEUR: So you need a human to spot
11 the patterns, but can the computer like toss up the data? I
12 remember when we used to have the mainframe and you actually
13 had the code. You're not going to actually be -- like I
14 know you're too young to have had those punch cards that we
15 had, but I mean you're actually looking for the

16 COMMISSIONER HONORABLE: Yes, I'll admit that.

17 CHAIRMAN LA FLEUR: But you know nobody has time
18 to look at all the little things, but somehow you have to
19 look at it electronically, right?

20 MR. SACHS: You could find a card in a fortran
21 deck, yes.

22 CHAIRMAN LA FLEUR: If you got one wrong, it
23 won't run.

24 MR. SACHS: It messes up the whole program. It
25 won't work. And then you get to the end of the line and run

1 it again.

2 CHAIRMAN LA FLEUR: But there's the equivalent
3 now, even though it's no longer a card where there's some
4 thing in there.

5 MR. SACHS: Large datasets is the challenge
6 because we're accumulating all this data, terabits of data.
7 The human mind cannot begin to grasp this. This is the
8 challenge that Google and Amazon and others have overcome
9 where they look at very large amounts of data, use the power
10 of computer to go find things and present it to a human in a
11 way that our brains can interpret it. That's something
12 we're also beginning to understand in security is how do
13 bring something out so the human can see it and it's only
14 through your eyes. We can't really taste cyberspace or hear
15 cyberspace. We have to look at it because that's the way
16 our brains work and so the challenge is how do you put
17 something on a screen that a computer can express to an
18 human so a human can understand it and begin starting to ask
19 the questions and then the computer can go back and maybe
20 answer those questions. A lot of work being done in the
21 research community, a lot of work still to be done there,
22 but data visualization is one of the big key items and
23 security visualization is key piece as well.

24 CHAIRMAN LA FLEUR: It's fascinating. I know
25 Michael is -- has stuff to say.

1 MR. ASSANTE: Thank you. I would suggest that
2 in deconstructing some past incidents that have affected
3 control systems particularly the signals would not be
4 described as faint, but they would be described as
5 deafening. In fact, some of the incidents would demonstrate
6 that adversaries were experimenting. In fact, we've
7 developed what we believe as models to look at in order to
8 have a physical affect on a system it takes quite a bit of
9 effort on the adversary's part in order to learn and know
10 and have confidence that if they do something they're going
11 to have a desired affect. And in the case of Ukraine, there
12 certainly were observables and we wrote about those
13 significantly with the EISAC about what to look for. And
14 for example, some of the switches that uploaded most of
15 (1:11:07.8) to they typically aren't touched by
16 individuals. Once they're commissioned and tested, they're
17 never managed. And when somebody goes out to touch them, it
18 should be a big indicator that you know why are we doing
19 that, right?

20 And also, I would say in the area you talked to
21 earlier panels about data analytics and to Marcus's point,
22 I've seen incredible prognostic technology advancement in
23 this industry. In fact, arguably, I've seen individual
24 utilities understand machines to a level of fidelity that is
25 impress to be able to predict failure so they could take

1 failures on their own terms. I believe we have the
2 technology to apply that for the cybersecurity challenge.

3 Again, if you go with the basis that, in fact,
4 this new malware that we've discovered it just doesn't work
5 all by itself. You have to get it into position and then
6 you have to have this confidence that you understand exactly
7 how the utility's operating breakers with the protocol, it's
8 AD&P3. There's different ways to do it. And in order to
9 experiment, you want to catch them in their
10 experimentation. Prognostic technology could see the
11 slightest tampering, an unauthorized circuit breaker
12 operation in a small part of substation is something that
13 can be detected. And I do believe that the industry has the
14 capability of going down that road. They need the
15 flexibility to try to conduct that innovation. I've been
16 working with people like General Electric. GE has been
17 looking at that. They understand their machines very well.
18 They're looking at how can they use their models to identify
19 tampering within those same systems. So I believe
20 technology and that data analytic you talked about earlier
21 is a tremendous opportunity for us in order to start
22 outpacing the attackers.

23 CHAIRMAN LA FLEUR: Thank you. I was going to
24 ask who could we learn from. We just heard Google, Amazon,
25 and GE -- I mean people out there that are doing this.

1 I think it's related, but you talked about, at
2 least in your written testimony, about Internet signatures,
3 which I guess where you see where something is coming from
4 and Commissioner Scott mentioned the fusion centers like in
5 Topeka that compare one set of data to another set or data
6 or whatever. Do we have the right protocols to share that?
7 Do we need to do things differently so if one company sees
8 something it gets to the EISAC and gets to other places? I
9 mean I don't understand it well enough to know, but it
10 seems like it would be rich area to prevent problems.

11 MR. SACHS: I'll give you a brief answer and
12 then I'll pass it to the Commissioner, but oftentimes
13 organizations like us or a private sector group or the
14 government will see something and want to pass it to others.
15 We use a process called TLP or Traffic Light Protocols to
16 handle the sharing of information. So when you discover it,
17 you have to be careful about it. You don't want to just
18 broadcast it to world because your adversaries may see, but
19 you wanted to give it to a trusted partner who can do
20 something with it, so you'll call it TLP green or amber or
21 whatever.

22 On the government side, oftentimes, it's
23 detected in classified channels and so it's got a
24 classification wrapper on it and we have to get that wrapper
25 off, get it down to unclassified. There's a delay there.

1 When the machines want to talk to each other, they don't
2 understand any of that. That's a human hindrance and they
3 love just chitchatting back and forth, but it takes a human
4 to connect two computers together and often the humans are
5 bound by legal barriers, bound by information and trading
6 barriers, bound by fear that the adversaries might get in
7 the middle and watch the machines talk.

8 So there's a lot of good technical things we can
9 do, but there's a lot we need to do in terms of the human
10 understanding of why we need to rapidly share and barriers
11 that are artificial, largely legal, cultural, that we need
12 to take off the table.

13 I know we often have good stuff we could share
14 with others. Others have good stuff that they can share
15 with us, but many times it's the people that get in the way,
16 not the technology. That's not stopping us. It's the
17 process. The Commissioner may have the same sort of
18 observations.

19 CHAIRMAN LA FLEUR: Bob, I know you talked about
20 fusion centers in your testimony. I know what some of what
21 they do is confidential, but I guess are there ways we can
22 share this data better?

23 COMMISSIONER HONORABLE: I think it's a great
24 question because I think with some of the fusion centers
25 that is the challenge, that if you don't have a clearance

1 you really can't really participate.

2 COMMISSIONER SCOTT: Well, that is something, as
3 you're aware, New England is exploring. We have a fair
4 working relationship with the Kansas Intelligence Fusion
5 Center. We're exploring that type of activity, but
6 Commissioner Honorable is exactly right. Obviously, that
7 only works to the extent that the utilities involved have
8 the appropriate clearances for obvious reasons.

9 So it brings in a world of other issues like
10 spillage and mitigation strategies, but I will say at least
11 in New England, and I think Marcus mentioned DOE CRIPs, not
12 all of them, but most of the utilities we're working with on
13 that type of activity are also using CRIP, so it's not one
14 or the other. They're finding extra value having gone out
15 to Kansas and worked a little bit with them. It's an
16 exclusive club, if you will

17 CHAIRMAN LA FLEUR: In your perfect world,
18 anyone, I mean how many people within a utility would have a
19 clearance. I mean I got to a lot of briefings with CEOs. I
20 mean I was the CEO. I didn't do the computers, right? I
21 mean I was never a CIO. You'd be insane to make me one, so
22 I mean you'd brief these people who might have clearances
23 and I mean so how -- if we had a perfect system where the
24 right people had the clearances, how deep would it have to
25 go.

1 COMMISSIONER SCOTT: There's multiple questions
2 there. What level of clearance depends on how deep you're
3 going to go also. Generally speaking, in my view, at least
4 to get started obviously there needs to be CEO buy-in. The
5 CIOs ideally would be involved and then you have the actual
6 people doing the work, right? So that I would argue for two
7 or more, I think, depending on what you're doing and why you
8 need that. And I say buy-in is as if there's a mitigation
9 strategy that's developed based on that type of data that
10 costs some money, obviously. Now that has to be sold up the
11 chain for obvious reasons and I'm a regulator at the moment,
12 so certainly get that.

13 That requires the buy-in, so at least to start I
14 think you need more and my guess if the utilities were to go
15 down this path that once there's a faith in the system, if
16 you will, that perhaps could get lessened. So I'm not
17 suggesting that clearances are easy. In a post-normal
18 world, if I were on the federal side I would be wondering
19 too how many of these do we want to give out, et cetera.
20 It's a challenge.

21 CHAIRMAN LA FLEUR: And I wasn't arguing that
22 CEOs shouldn't have clearances. It's just they're not going
23 to operationalize it into the machines, I assume, unless
24 they're very unusual.

25 MR. WALES: Let me try to provide a little

1 context to this, both the value and the potential
2 overestimation of value in providing security clearances. I
3 think we've used security clearances that we provide to the
4 private sector and DHS itself has cleared somewhere around
5 1500 to 2,000 private sector owners and operators throughout
6 the country.

7 They provide two purposes. One, is they're
8 helping us, so when we have classified information we can
9 share it with them and they can provide context from how the
10 industry would view this information. Are there things
11 because of their unique expertise and understanding and the
12 kind of activities that they oversee that they could read
13 into this intelligence that government analysts won't be
14 able to do.

15 Second, it helps to provide broader
16 environmental understanding of the nature of the threat. It
17 is not going to help with network defense immediately.
18 That's why we spend a lot of time trying to figure out how
19 to get the kind of information that's going to make a
20 difference to network defenders down to a classification
21 level that can be share because when we bring 20 people into
22 a room and provide them with a classified briefing they
23 can't just go back to their office and tell their network
24 defender put in the following classified hash into your
25 firewall. You know it doesn't work that way and so

1 clearances are an important part of what we do in terms of
2 the information sharing. We think it helps make sure that
3 we are on a common baseline with the leadership inside of
4 organizations and with the key people who have to monitor
5 their networks, but it is not going to be a panacea for even
6 emerging threats and risks.

7 It's not going to stop necessarily the next
8 Ukraine if we have indicates of the kind of activity or the
9 kind infrastructure that that cyber operator was using to
10 target those networks. So we think it's important, but it
11 is, by far, not going to be enough.

12 CHAIRMAN LA FLEUR: So I'm going to translate
13 back what you said. It's not just getting some people
14 clearances. It's getting the data to a level that it can be
15 operationalized. Okay.

16 MR. MITCHELL: If I could just add a little to
17 that, we always are pushing for the information to become
18 actionable. You know get it out to the industry. It
19 doesn't have to be classified. It's just utilizing
20 classified information to inform an actionable alert that
21 would come out through the EISAC or some other form. And
22 then we, as the industry, would utilize our trusted networks
23 of saying trust us. We're getting this information. We
24 need to act on it. We need to move on something and it is
25 of highest of importance.

1 Unfortunately, and Commissioner Scott brought up
2 the issue with Burlington. That was followed. Everything
3 was done right by Burlington and then they went through the
4 mud in the media. We lost trust in the system with that,
5 but we are rebuilding that through these efforts and we
6 encourage that trust rebuilding.

7 CHAIRMAN LA FLEUR: I want to ask one more
8 question that's on a different cybersecurity topic. One
9 thing you hear a tremendous about is the increased
10 cybersecurity threat from all the distributed resources and
11 the Internet of things. Frequently, that is said by people
12 who might have other reasons to not like distributed
13 resources, so it's hard, as always, to unscramble this.

14 I generally feel like if we're doing our job in
15 this building, then if something comes in from a distributed
16 resource and it gets up to the Bulk Electric System it
17 shouldn't be able to go across and be a cascading outage
18 because we've stopped it at that level. But I have all
19 these experts here. How much of an issue is this, the fact
20 that we're going to have a lot more distributed resources
21 and is there something we should be doing about it because
22 it's very (1:22:24.6)(in the land? You hear it as sort of
23 a throw away line in speeches. And by the way this going to
24 become much worse because of blah, blah, blah, blah.
25 Interested in your thoughts.

1 MR. SACHS: Just briefly, it's not the
2 distributed energy piece. That's electricity physics that
3 we worry about. From a pure security perspective, it's
4 introducing a new device that you don't know about. It has
5 possibly a connection to the open Internet that we don't
6 know about and there are billions of people on the Internet
7 that we don't know about.

8 In an earlier world, it's all protected. These
9 things that connect together and produce and deliver
10 electricity are private. When you bring in an Internet of
11 things or anything that's connected, it doesn't matter what
12 it's doing, if it's connected you're now extending what we
13 call the attack surface. That is the fundamental issue.
14 It's not the physics of it. It's not the politics of it.
15 It's the fact that you're connecting the public Internet,
16 possibly at the bottom, which could then open a door to come
17 up through the bottom of the network through distribution
18 and perhaps do damage.

19 CHAIRMAN LA FLEUR: So in the olden days, which
20 wasn't very long ago, the meter on my house only the
21 electric company could read it. It had a lock. I never
22 touched it. It was just all there. But now if I have my
23 phone and I can turn things on and off, then a lot of data
24 is somehow around; is that sort of what you're saying?

25 MR. SACHS: It's again not so much the data. If

1 the meter can be reached anonymously by somebody we don't
2 know about on the Internet, there could be a problem. If
3 the meter can only be touched to authenticate it; in other
4 words, the electric power company is the only one that can
5 read it and talk to it, we're fine. There's no issue there.
6 It's that unauthenticated piece that's the problem.

7 CHAIRMAN LA FLEUR: So is this a problem for the
8 Bob Scotts of the world or is there something FERC should
9 do?

10 MR. SACHS: No.

11 CHAIRMAN LA FLEUR: So it's at the distribution
12 level, but it somehow -- Michael's going to help us.

13 MR. ASSANTE: I was going to suggest two
14 dimensions. What we really need to watch out is the
15 concentration. And when I say by concentration, it is the
16 access and we like to do this. In a market-driven economy,
17 we achieve efficiency and often in the achieving of that
18 efficiency we build architectures where we actually
19 concentrate to be able to touch lots of these things.

20 In fact, I've been amazed sometimes about seeing
21 distributed resources throughout the country that's actually
22 in a maintenance sense monitored at a single location. Now
23 the question in my mind in these architectures is when we do
24 interact with these devices in a distributive fashion when
25 we're interacting how many should be interacting with it at

1 any one time? Most business cases means we're going to deal
2 with one, two, three, or four machines to tune or make a
3 change or adjustment, but the architectures allow for
4 touching all of them. And these are the types of things
5 from an engineering perspective we need to take note and so
6 it does extend into the distribution systems. It does
7 extend into renewables, for example. But again, I believe
8 it's about secure architectures. There's lots of benefits
9 for doing it this way. We should absolutely be moving
10 forward in that direction, but we need to bring that
11 security requirement into the engineering design of those
12 systems.

13 MR. WALES: Let me just give you two ways of
14 thinking about this. On the one hand, the distributive
15 resources within a particular utility if those are protected
16 the same way that they've protected the rest of their
17 operating systems, meaning that there's not Internet
18 addressable systems. You can't get to them from the
19 outside. You can only get to them from inside of the
20 network, then they're as well protected or not as well
21 protected as the rest of the operating systems that they
22 have on their grid.

23 If, however, those are Internet addressable,
24 which means anyone in the world can immediately find that
25 and begin to look for weaknesses, the adversary has a lot of

1 time and they will eventually find weaknesses in those
2 systems. And if, depending on how the configurations work,
3 if they get in they can move elsewhere and do a lot of
4 damage. But I would say that's a little bit distinct from,
5 I think, some of what you're hearing, which is kind of the
6 second issue, which is just the large number of Internet of
7 things potentially provides an adversary a lot of toys to
8 connect with and then use those an amplifying attack on
9 other infrastructure, which what we saw with the DDOS attack
10 using the Mirai botnet both net late last year where they
11 just created a huge, loud service attack because they were
12 able to get contact with all of these Internet addressable
13 Internet of things devices -- you know little things in your
14 house that you don't even think about, but they're connected
15 to your Wi-Fi. They're Internet addressable and an
16 adversary can eventually get contact with those.

17 So in terms of where FERC is and where I think
18 NERC is the question is how do these standards cover widely
19 dispersed devices on a utility's operating network? What
20 are the requirements for security around those devices? And
21 if they're just part of their regular operating system, they
22 are just now sitting at your home as opposed to inside of a
23 substation they can be well protected.

24 CHAIRMAN LA FLEUR: But technically,
25 jurisdictionally we're doing the Bulk Power System, so if

1 they're on the distribution side of the meter, unless
2 they're going to come in, jurisdictionally, at least, the
3 states would make the rules.

4 MR. SACHS: Only if you're talking about a grid
5 device or distribution device, but what Brandon's talking
6 about is much, much bigger. Could it be FCC? Could it be
7 Consumer Product Administration? I mean there's a whole lot
8 of other animals here that have to be brought in. It's not
9 just a NERC/FERC versus states to have a discussion.

10 MR. BALL: So the key component of that from a
11 utility perspective is the architecture of that
12 infrastructure. You have to have the ability to separate
13 your corporate network that has access to the Internet from
14 your operational network or SCADA network. And that is
15 probably the key to maintaining cybersecurity on anything
16 that can be or could be controlled from outside of the
17 utilities.

18 CHAIRMAN LA FLEUR: You didn't necessarily make
19 me feel this wasn't a problem, but at least you made me feel
20 like you understand it very well and that's a very good
21 start.

22 MR. GOVINDARASU: I think that IOT is the new
23 thing that anyway that comes small on the consumer side, but
24 coming back to the bulk process that will sell. The smart
25 grid technologies, like whether you call it smart sensors

1 like PMUs, like communications technologies, distributor
2 controllers, all kinds of things they do increase attack
3 surface, because those are IP-enabled devices. They are
4 connected somewhere. You have more access points.

5 The question is whether those access points are
6 available to adversity or someone outside. How do you
7 protect that? So assessing that attack surface and also
8 minimizing that attack surface of risks. I think those are
9 important. It is not to say, oh, we should not automate,
10 then we are going backward. While we are automating things,
11 we need to make sure that a security is in place. There's
12 secure architecture isolation, what kind of access control
13 has to be in place or authentication and so on. I think it
14 has to be carefully planned. That is where the standards
15 come into place. A weak systems are allowable to be
16 accessed outside. Some other things should not be allowed,
17 then it should be within the parameter and things like that.
18 I think it has some flavor of those things. But as we talk
19 about IOT and other things, one has to be very careful about
20 defining those standards and what those qualities are.

21 CHAIRMAN LA FLEUR: Well, thank you for that
22 clarification because some of those smart grids are very
23 much on the Bulk Power System. We're talking PMUs on big
24 transformers and things. Thank you.

25 MR. BARDEE: So I just have a couple of quick

1 questions, recognizing that we are getting near the end of
2 our day.

3 Mr. Assante, in your written testimony and again
4 in your oral remarks, you reference an effort by INL
5 involving consequence-driven cyber-informed engineering and
6 you said that it's a way to engineer out the worst cyber
7 risks from our critical energy infrastructure. Could you
8 talk a little bit more specifically about that?

9 MR. ASSANTE: Sure. And this goes back to, I
10 think, a question of an earlier panel, this idea of
11 fallbacks or analog, but really the bigger concept is taking
12 the strength of industry, which are the deep expertise and
13 trying to understand what type of consequences a cyber
14 attack can enable within the power systems or assets in
15 which the utility controls. By taking that additional
16 prioritization, this idea that consequence first, let's look
17 at what would be something would be more difficult to
18 recover from. I mean that allows them to really identify
19 and understand at a very deep level how do these systems
20 work and how have they been engineered as we've deployed
21 them and then reconsider some engineering choices and
22 tradeoffs.

23 Ideas like simply removing a soft cyber control
24 and actually having a dry contact might be a very cheap
25 engineering solution that removes an entire risk of a

1 machine being damaged irreparably. So the idea is to get
2 that level of depth. It forces utilities to break through
3 assumptions, thinking that we're done this way and that way
4 and we find that there's a lot of false assumptions when you
5 actually go look how systems are put together and what is
6 possible. But also, again, it builds on the engineering
7 strength of utilities.

8 And the reason why I believe it's absolutely
9 necessary is adversaries today are demonstrating the
10 capability that we must, as defenders, go beyond cyber. I
11 appreciate that some of folks here believe in separate is
12 absolutely important in terms of separating your business
13 systems from your control systems; however, the adversaries
14 that we've watched are getting good. They understand that
15 separation will be there. They're developing delivery
16 techniques to beat that separation. Two factor VPMs have
17 been defeated by certain actors around the world. So some
18 of these controls that we rely upon are no longer as
19 effective as we believe they are and so going beyond that to
20 understand, I think, what is our strength in applying
21 engineering to this problem has lots of benefit.

22 And again, when we talk about focusing on large
23 outages and losing big parts of the system that's where a
24 constant-driven approach really brings you very quickly.
25 You begin to understand that it might an aggregation of how

1 we're interacting with several low or medium CIPs assets as
2 defined by the standards because the way we've architected
3 our interaction this is an area that we need to go back and
4 readdress how we're engineering. It will inform cyber
5 defense efforts too. Having a deep level of understanding
6 goes back to your cyber defense strategies.

7 It allows you to identify jump points where
8 adversaries need to get to in order to be able to affect
9 some of these things. And I would also argue as my last
10 point the malware that we've seen the way it attacked the
11 system to cause disruptions is absolute a normal way should
12 that the system should communicate. It's using the
13 industrial protocol that we have implemented to open a
14 circuit breaker.

15 There are some features within the malware, like
16 an exploit against protective relay, which would have a
17 signature that looks like it is something that is
18 non-normal, but everything else looked absolutely normal.
19 So I would encourage utilities get a deeper visibility into
20 how systems communicate and that begins with an engineering
21 understanding, which I know the utilities have and possess
22 that capability.

23 So working with our partners, we believe that's
24 going to provide the biggest reduction of risks because the
25 type of risk we're most worried about come from your

1 significant risk-type of dimensions. It's not from the
2 12-year-old hacker or the 14-year-old hacker, if you will.

3 MR. BARDEE: So to me, it sounds a little bit
4 like an idea I've heard about in the context of our physical
5 security standard, CIP14, where utilities will look at their
6 system and say, well, for now we're going to protect the
7 ones that are critical, but in the future we're going to
8 build out our system in a way where we don't have critical
9 substations. We're going to reduce our risk by redesigning
10 going forward.

11 MR. ASSANTE: That's absolutely right. The
12 long-term learning as to what enables a terrible consequence
13 through cyber means what could happened informs design
14 decisions in the future and so we're starting to see some of
15 that activity as we're engaging in some of these methods
16 with industry and industry partners. So I believe that's
17 absolutely right and bringing in the suppliers to partner on
18 how they are architect to design their solutions is a vital
19 aspect to this as well, so this really an opportunity for
20 shared learning and the ability to be able to move that
21 learning. And I believe a lot of what I've seen in
22 deconstructing real-world events would indicate that that
23 type of thinking is important.

24 I'll give you one last example in a nuclear
25 context and I'm very proud to see the United Kingdom is

1 adopting this. We've moved to digital safety systems for
2 our advanced light water reactors. That's a move away from
3 analog. You had to. But the question is not an analog
4 device, but the question is should we be using general
5 purpose controllers in technology for that safety system or
6 should we have a fallback system that is a highly
7 deterministic and very difficult or I would say limited
8 programmable device that is performing that final safety
9 function to avoid what could be a consequence that's not
10 tolerable.

11 Those types of engineering efforts need to be
12 understood by the suppliers. Economics will drive us one
13 way, general purpose. Knowing where the limits are and
14 where the thin line, if you will, would be for consequences
15 that we cannot tolerate would require us potentially to go
16 the other direction.

17 MR. BARDEE: And one last topic I wanted to
18 raise with Mr. Sachs on the reporting requirements for cyber
19 security the State Reliability Report notes that we had no
20 reportable incidents 2016 and even in 2015 and I understood
21 from the report itself, and I think your remarks or maybe
22 Mr. Cauley's earlier in the day, that you all are taking
23 another look at are there other metrics we should be looking
24 at. Could you describe that a little bit?

25 MR. SACHS: Yes, thank you, Mike.

1 So this kind of goes a little bit to what Mike's
2 talking about is what's the consequence you want to avoid
3 and we want to avoid loss of load, so we go and look and see
4 has there been any loss of load caused by cyber and the
5 answer is no, or by other security events. And so you
6 report that and say all is well, but it kind of gives a
7 false impression.

8 Yes, the consequence has been avoided, but it
9 doesn't mean there's not a problem or that there could be a
10 problem or something hidden and that's our challenge, guys.
11 How do we go look for those types of things we can see,
12 measure, have reported to us, and begin to do that analysis
13 that even though there's not been a lights out or loss of
14 load or the consequences we don't want to happen that we
15 still become cognizant of what else is going on and so we
16 can get that early indication.

17 Currently, as you know, we've got mandatory
18 reporting at certain thresholds and that's working fine.
19 Then we have voluntary reporting beyond that, a lot of
20 improvement we can do there, but also we have to recognize
21 we have seen a lot of improvement in the last few years.
22 The amount of voluntary reporting is definitely on the
23 increase and we want more of it. But like anything else,
24 there's that fine line of do you want to move out mandatory
25 piece so people feel compelled to report, which means

1 they'll only report what they have to report or do you
2 incentivize the voluntary side so people would feel more
3 comfortable with voluntary sharing. They'd feel if I put
4 something in I'll get something back out. We feel that's
5 the proper way to go. What is that incentive? Don't know.
6 That's part of what we need to work on this year and the
7 coming years is what can we do to help increase that
8 voluntary sharing.

9 Can we use the fact that the machines
10 automatically record everything they see? You know the
11 logging functions that are built into virtually everything.
12 Can we get that because that's not an opinion? It's not a
13 survey. It's facts that the machine is recording. Can we
14 get those logs shared? Can we get telemetry off of CRIS and
15 CAS and some of these other new programs? Can we study that
16 telemetry and look for those faint signals that you hear us
17 talking about?

18 These, I think, are areas rich for the next
19 coming years of exploration, things we can do that don't
20 require more mandatory sharing, but can look at what we're
21 already sharing and see what we can pull out of that and
22 then encourage more of that voluntary, particularly
23 machine-to-machine type of sharing of knowledge.

24 MR. BARDEE: Then last question, again related
25 to the reporting requirements. Whatever the reporting

1 requirement is or whether there's voluntary reporting or
2 whether there's voluntary reporting on top of that that's
3 much more rich right now the NERC Report puts out just a
4 number and the last two years it's been zero, but in prior
5 years there's at least been a couple of events, I think. Is
6 it possible for the EISAC to take the information it has,
7 whether it's mandatory or voluntary or it makes a difference
8 which one, and provide at least some additional information
9 about the nature of the event that have been reported. It
10 would have to be at some fuzzy level of granularity and
11 certainly anonymized, but ISC CER, for example, puts out an
12 annual report that says, you know, in this sector we had "x"
13 number of events last year. Is that something the EISAC
14 could do?

15 MR. SACHS: I think absolutely that's something
16 we can do. In fact, in this year's grid resiliency report
17 the chapter on grid security is different from what we've
18 done in the previous two years where we actually did look at
19 2016 what was reported to the EISAC and tried to tease out
20 what can we learn about what was reported.

21 Granted, in 2016, we're still ramping up. In
22 '17, we've already surpassed the entire year of '16. We've
23 already accumulated in '17, which is good. So next year the
24 report will be that much richer, but what you're hitting on
25 is exactly the direction we need to go in. The EISAC pulls

1 in a lot of information. We analyze a lot of stuff; put a
2 lot of reports out. We can also analyze what we've analyzed
3 and create a much better picture, at least orally describing
4 what we're seeing and what we're learning. What's going on
5 beyond just what the machines are talking about, you're
6 absolutely on the track that we're on.

7 MR. ADREJCAK: Just a couple of comments and
8 then one general question, I guess. Greg, you'd mentioned
9 earlier about phishing attempts. There was a report that
10 came out today about a quarter of the Australian utilities
11 were just hit with phishing attempts, so it's not something
12 that's easily going away. I mean it's obviously still out
13 there, so it's very on point.

14 Second thought, Marcus, you talked about getting
15 these folks at a young age involved in cyber defenses. I
16 was recently at a military exercise last week where we had
17 all branches of the Military, along with a lot of friendly
18 nations there, nice big scale drill exercise. They
19 genuinely were excited about it, but what I found out was
20 nobody wanted to be the defender. They all wanted to be the
21 attacker and that seems to be the biggest problem I think we
22 have right now is folks don't want to be the defender.
23 It's more fun to be the attacker.

24 MR. ASSANTE: In fact, you know an assistant
25 administrator is the defender. You talk to somebody who's

1 in 10th or 11th grade and you say do you want to be a cyber
2 attacker or do you want to be a system administrator? You
3 know what's the response? But much like in the Military, we
4 teach young servicemen and women how to defend at the same
5 time we teach them how to attack and you learn that your
6 weapon, whatever your weapon system is, is both for defense
7 and offense.

8 When we teach people how to be system
9 administrators, we often shackle them and this is a big
10 problem in the Military. You know thou shalt not do anything
11 other than these things and if somebody bad comes in call
12 this other group. You are not allowed to go elsewhere. So
13 what do the kids want to do, they want to go work in that
14 other group because they're the ones having fun because we
15 shackle the defenders.

16 So that's part of this mindset we also have to
17 think about and it goes to what many of us have been saying
18 here. There's new rules we need to come up with, new
19 approaches, new ways to thinking about not just for the
20 kids, but even how we operate in this cybersecurity world
21 that's very different from what we've been doing
22 historically, which is more of a safety-oriented type of
23 world and very predictable. This is not as predictable.

24 MR. ANDREJCAK: Mike, I guess my final comment
25 is directly more or less towards Mike and I guess

1 Commissioner Scott you as well because you kind of tied this
2 issue together, but I read a really great article that had
3 both you and Robert Lee from Dragos in Wired Magazine that
4 came out very recently, which really shows both yours and
5 his dedication. This is not just a job, but it's obviously
6 something we all live. This isn't like a 9:00 to 5:00
7 thing. When it happens don't call me at 8:00 o'clock at
8 night. You guys dropped what you were doing to go address a
9 big problem in the Ukraine and I guess I was concerned about
10 what are your thoughts about getting the information out
11 there quickly versus getting the information right, as
12 Commissioner Scott had to deal with, with the Vermont issue?

13 MR. ASSANTE: It's a critical question,
14 difficult. As you can imagine, when any events occurs
15 there's a fog of war, if you will, as to what really did
16 occur and getting the right people to take a look at that
17 information.

18 First, I want to commend the Ukrainians for
19 giving an unbelievable look to the United States Government
20 as to what did occur and that's important. This idea of
21 commitment to shared learning with folks is very important.
22 I think by working in different capacities with FERC and
23 NERC and the utilities industries and stuff, I think this is
24 an industry committed to learning. I think there are
25 massive improvements that we could do in deconstructing

1 incidents and being able to do that. That type of work
2 needs to be done and it needs to be prioritized.

3 The tradeoff between quick there's ways to do
4 this. There is what we say tippers out to the injury that
5 says we're not completely sure about this, but these are
6 potential indicators. Here's what you could do with it, but
7 being careful as to say what you can do with it our should
8 be doing with it is where I think we got in trouble a
9 little bit some earlier events that occurred. And in the
10 government holds the role of being -- and so does NERC -- of
11 responsible risk indicator, meaning they are going to get to
12 the real story at some level of very real detail and I think
13 we worked through the stresses of that in terms of
14 communicating about the first Ukraine event. It did take a
15 long time and I think there were no immediate attacks that
16 occurred, so maybe that was okay that it took that time, but
17 in this space we won't have that luxury potentially in the
18 future.

19 I really worry about a campaign of attacks and I
20 think if we start to experience that we will be forced to
21 very quickly learn as much as we can and get information out
22 as we're going in order so that other utilities can defend
23 themselves.

24 MS. POINTER: I just had a comment and then a
25 question. The earlier discussion about -- I think, Mr.

1 Sachs, you mentioned about telling those 13- and
2 14-year-olds to go out there and do stuff, I'm having the
3 opposite conversation with my 12-year-old. So hopefully, I
4 can convince him to be the administrator or the defender
5 that you're talking about, but right now we're having some
6 pretty -- I won't say difficult, but several discussions
7 about what to do and what he shouldn't do.

8 My question is actually to Mr. Assante. I think
9 Mike raised the question about engineering and I think you'd
10 mentioned loads and I guess while you're here just what are
11 your thoughts about the reporting requirement for low-impact
12 assets? I know Mike mentioned about -- well, I think
13 actually the conversation was more so on the medium and hot,
14 but you'd mentioned loads, I was just wanted to hear what
15 your thoughts are about loads.

16 MR. ASSANTE: Thank you. I am concerned that --
17 and I think that the standards have evolved in a wonderful
18 way in terms of bringing more systems into scope, looking at
19 systems and impact reliability and that's been very
20 important. Some of the things we're learning in terms of
21 real-world incidents could indicate attackers might be
22 trying to operate against multiple utilities or a single
23 utility in scale, which means now that something that we'd
24 look at individually as an assets, as a low asset, but taken
25 in an aggregate of being able to open circuit breakers at

1 multiple locations you know the impact is as bad as if you
2 would've been attacking larger substations, 500kv and
3 larger.

4 And that's a concern. It's obviously more
5 difficult. What we should do is to think about how to
6 architect our system to be able to allow an adversary to
7 achieve that scale. Some things would require them lots of
8 time and it would be difficult to do. Other types of
9 architectures and ways we interact with technology make it
10 easier.

11 I think if we take a good, hard look at that we
12 might be able to accommodate both, the idea of assets and
13 resources that individually when misused could cause big
14 problems on the system. This mounds or malware that we're
15 talking about has the ability to operate circuit breakers if
16 you could deliver into place were it could communicate to
17 enough substations.

18 And again, this is not easy, but if you could do
19 that the scale problem comes in and so the load requirements
20 in the standards today, as you know, wrap basic protections,
21 not necessarily the type of protections. We talked about
22 using VPNs. Well, those apply to certain assets, not others
23 and so I think it forces us to go back and look at how we're
24 interacting with a larger deployment of technology.

25 MS. POINTER: Thank you. That's all I have.

1 CHAIRMAN LA FLEUR: I just wanted to first start
2 by thanking all of the panelists for your very thoughtful
3 comments. I think it's been an excellent day. I think some
4 views were rich, a very rich discussion. And thank all of
5 the organizations you represent all day long for keeping the
6 lights on, small detail, that's what this is all about. So
7 thank you for what you do.

8 I want to thank the people on FERC staff for all
9 the work in setting this up, especially Mike for chairing
10 it, Lode White for doing a lot of the work to organize it,
11 Sarah and others, everyone who pulled it together.

12 And finally, I just want to thank my partner in
13 crime here, Collette. When we sat in this room last month,
14 I said I hope this won't be the last time we sit in this
15 room together.

16 COMMISSIONER HONORABLE: And it wasn't.

17 CHAIRMAN LA FLEUR: And I equally hope that
18 today, but I'm less sanguine that there'll be a lot of other
19 times.

20 COMMISSIONER HONORABLE: Cheryl, I feel like the
21 runaway bride. I don't know if I'm coming or going.

22 CHAIRMAN LA FLEUR: I think you brought so much
23 to this discussion and to the Commission, particularly with
24 your relentless focus on customers and also your constant
25 reminders of what we need to do with our state colleagues.

1 You know one of my favorite songs in Wicked is like -- I've
2 heard it said that people come into your life for a reason
3 bringing something you must learn and I really believe that.
4 And you've also done a wonderful job representing the
5 Commission, whether it's in Brazil or in the singing in the
6 FERC chorus or all the other places you, so thank you for
7 that. I will really miss having you.

8 COMMISSIONER HONORABLE: Thank you so much.

9 CHAIRMAN LA FLEUR: Not here, up there.

10 COMMISSIONER HONORABLE: Thank you so much.

11 Let me say to Mike Bardee, who continues to lead
12 so well, I was mentioning to someone on the elevator I
13 really don't think our jobs are the most important. Yours
14 are because you hold this place up and you have the
15 institutional knowledge and experience -- when I say "you,"
16 all of you and your colleagues and you have been committed
17 to this job. And Mike Bardee went away. He went on a
18 detail very far away. He went to Europe. And when he
19 left, I said the only way I'm going to support this is if
20 you come back, so he has. So thank you.

21 And I want to thank all of you, and especially
22 those of you who are sitting in the softer chairs. You get
23 a gold star because you didn't get to say a darn thing, but
24 yet, you're still paying attention. Because this work is so
25 important and we know today that challenges are greater than

1 they have ever been. And I remember when I began as a
2 state regulator 10 years ago hearing that from someone "This
3 job is more challenging than it's every been." Well, it is
4 also and in 10 years it will continue to be, but I know --
5 and after this long day of our work together, maybe the
6 second longest day of the year, that we are well prepared to
7 be able to continue to work on the challenges that lie
8 ahead.

9 It doesn't mean we have it all figured out, but
10 it means that we have number of men and women across many
11 sectors, yes, including our colleges and universities, who
12 are committed to helping us solve very challenging issues
13 and that really gives me hope and heart about the work that
14 we can do together.

15 And let me say, too, to our FERC staff here
16 thank you for supporting this effort that we carry out, not
17 only every year, but each and every day the ways in which
18 you keep electric reliability front of mind for us and I
19 want to thank my staff as well. And to our fearless leader,
20 who has been our chairman, so Cheryl was our chairman when I
21 started here at the Commission and I, in fact, met Cheryl as
22 soon as she became a Commissioner at a NARUC meeting and
23 there were like a million people all over the place, like
24 touching her, is she real? Is that the new commissioner?

25 And so from the moment that we met, Cheryl,

1 you've been so gracious. And even when I transitioned here,
2 I joked that Cheryl's advisors at the time were my advisors
3 because they helped me stand up my team and even though we
4 haven't agreed on every single thing, we have agreed on most
5 and it's been an honor to work along side you, along with
6 our other colleagues who've come and gone.

7 And it's been an honor to work with you at all
8 of the capacities that you've held here as chairman, as
9 commissioner, as interim chair and hopefully, as
10 commissioner and I'll be riding off into the sunset for the
11 next journey. But this has been the highest honor of my
12 professional career and it's so much so because of the men
13 and women I've done it with, so thank you so much.

14 MR. BARDEE: So that will end the day. I thank
15 all the panelists for their help today and other times when
16 we've called on them and look forward to continuing to
17 working on this mission with you.

18 (Whereupon, the meeting concluded at 5:10 p.m.)

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the
5 Matter of:

6 Name of Proceeding: Reliability Technical
7 Conference

8

9

10

11

12

13

14

15 Docket No.: AD17-8-000

16 Place: Washington, DC

17 Date: Thursday, June 22, 2017

18 were held as herein appears, and that this is the original
19 transcript thereof for the file of the Federal Energy
20 Regulatory Commission, and is a full correct transcription
21 of the proceedings.

22

23

24 Gaynell Catherine

25 Official Reporter

1 BEFORE THE
2 FEDERAL ENERGY REGULATORY COMMISSION

3

4

5 - - - - - x

6 In the Matter of: :

7 RELIABILITY TECHNICAL : AD17-8-000

8 CONFERENCE :

9 - - - - - x

10

11 Room 2C

12 Federal Energy

13 Regulatory Commission

14 888 First Street, NE

15 Washington, D.C. 20426

16 Thursday, June 22, 2017

17

18 The technical conference in the above-entitled
19 matter was convened at 9:30 a.m., pursuant to Commission
20 notice, when were present:

21

22 FERC COMMISSIONERS:

23 ACTING CHAIRMAN CHERYL A. LA FLEUR

24 COMMISSIONER COLETTE D. HONORABLE

25

1 FERC STAFF:

2 MICHAEL BARDEE, (Presiding)

3 ARNIE QUINN

4 JIGNASA GADANI

5 ROGER MORIE

6 LARRY PARKINSON

7 LEE ANN WATSON

8 JOSEPH MCCLELLAND

9 DAVID ORTIZ

10 MATTHEW VLISSIDES

11 MARTIN KIRKWOOD

12 JONATHAN FIRST

13 JAMIE SIMLER

14 ANNA COCHRANE

15 NANO SIERRA

16 CYNTHIA POINTER

17 MARK HEGERLE

18 LODIE WHITE

19 ROBERT CLARK

20

21

22

23

24

25

1 PANEL I: OVERVIEW ON THE STATE OF RELIABILITY

2 GERRY CAULEY, President and Chief Executive Officer, North
3 American Electric Reliability Corporation

4 PATRICIA HOFFMAN, Principal Deputy Assistant Secretary and
5 Acting Assistant Secretary, Office of Electricity Delivery &
6 Energy Reliability, U.S Department of Energy

7 CHAIRMAN ASIM HAQUE, of the Public utilities Commission of
8 Ohio representing NARUC

9 CHARLES KING, Vice President and Chief Information Officer,
10 Kansas City Power & Light Company on behalf of EEI

11 STEVEN WRIGHT, General Manager, Chelan Public Utility
12 District on behalf of Large Public Power Council

13 BABAK ENAYATI, Lead R&D Engineer, National Grid on behalf of
14 IEEE

15 JOHN TWITTY, Executive Director, Transmission Access Policy
16 Study Group

17 JOHN HUGHES, President and Chief Executive Officer,
18 Electricity Consumers Resource Council

19 PANEL II: INTERNATIONAL PERSPECTIVES

20 BRIAN HEWSON, Vice President, Consumer Protection & Industry
21 Performance, Ontario Energy Board

22 COMMISSIONER MARCELINO MADRIGAL, Mexican Energy Regulatory
23 Commission

24 KLAUS DIETER BORCHARDT, Director for the EU Internal Energy
25 Market, Directorate-General for Energy, European Commission

1 PANEL III: THE POTENTIAL FOR LONG-TERM AND LARGE-SCALE
2 DISRUPTIONS TO THE BULK-POWER SYSTEM

3 MARK LAUBY, Senior Vice President and Chief Reliability
4 Officer, North American Electric Reliability Corporation

5 DEDE SUBAKTI, Director, Operations Engineering Services,
6 California Independent System Operator

7 MICHAEL KELLY RIVERA, Los Alamos National Laboratory

8 DR. GEORGE H. BAKER, Senior Advisor, Commission to Assess
9 the Threat to the United States from Electromagnetic Pulse
10 Attack

11 RANDY HORTON, Senior Program Manager, Electric Power
12 Research Institute

13 THOMAS POPIK, Chairman and President, Foundation for
14 Resilient Societies

15 SYLVAIN CLERMONT, Director, Reliability Standards and
16 Regulatory Compliance, Hydro-Quebec TransEnergie

17 PANEL IV: GRID SECURITY

18 MARCUS SACHS, Senior Vice President and Chief Security
19 Officer, North American Electric Reliability Corporation

20 MANIMARAN GOVINDARASU, Professor of Computer Engineering,
21 Iowa State University

22 MICHAEL ASSANTE, Director Critical Infrastructure and
23 Curriculum Lead for ICS/SCADA, SANS Institute

24 GREG FORD, President and Chief Executive Officer, Georgia
25 system Operations Corporation

1 DAVID BALL, Director, AEP Transmission Dispatching, American
2 Electric Power

3 NATHAN MITCHELL, Senior Director, Electric Reliability
4 Standards & Security, American Public Power Association

5 COMMISSIONER ROBERT (Bob) SCOTT, New Hampshire Public
6 Utilities Commission

7 BRANDON WALES, Director, Office of Cyber and Infrastructure
8 Analysis, U.S. Department of Homeland Security

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 (9:30 a.m.)

3 MR. BARDEE: Good morning everyone. I'd like
4 to thank everyone who's here today and listening outside of
5 the building, and especially thank our panelists, both on
6 this panel and later in the day, for being here and
7 submitting the testimony they've already sent us and for the
8 remarks they'll make today and being available to answer our
9 questions.

10 Just as a little bit of background, about a
11 little more than 10 years ago Congress approved Section 215
12 of the Federal Power Act and gave the Commission the
13 authority to approve and enforce mandatory standards for
14 reliability of the Bulk Power System. And since then, we
15 have worked with NERC in this process of adopting and then
16 enforcing the standards.

17 NERC, through it's regional entities, has really
18 taken the ore on all of that and it's been a good working
19 relationship and I think at this point it's fair to say we
20 have good set of standards. With that, though, there
21 remains work to do. During today's conference, we're going
22 to touch on three areas to explore how we're doing on the
23 reliability of the Bulk Power System and whether there are
24 areas where we need to pay more attention or do more work.

25 The first panel is going to start with an

1 overall assessment of the state of reliability, the major
2 issues that we're facing right now. The second and third
3 are going to address emerging issues, both internationally
4 and then in the United States, and the last panel will be on
5 cybersecurity of the grid.

6 Let me go over just a few housekeeping matters.
7 First, there's no food or drink allowed in the Commission
8 meeting room here, except for bottled water. We would also
9 ask you to turn off your cell phones. We do have a way for
10 people to use Wi-Fi here. There's a piece of paper out on
11 the table outside with the instructions for how to use
12 Wi-Fi, just like that. It says "Guest Wireless Network
13 Rules of Behavior." So if you want to get that a little
14 later and follow that, you'll be able to use the Wi-Fi here.

15 I would add, though, that if you're using your
16 devices on Wi-Fi, you're not paying attention to us.

17 (Laughter)

18 MR. BARDEE: So recognizing that we are a little
19 time constrained, we are going to ask the panelists to limit
20 their oral remarks, generally, to four minutes. There's a
21 clock down here to help you with that. There are a few
22 exceptions because Mr. Cauley is going to be doing the
23 presentation on the overall state of reliability based on
24 NERC's report. We've allowed him a little more time, as we
25 will for our international speakers on the next panel.

1 Let me just read a statement that is now part of
2 our opening at all the Commission meetings here in the
3 Commission Meeting Room. Members of the public are invited
4 to observe, which includes attending, listening and taking
5 notes, but does not include participating in the conference
6 or addressing the Commission. We will not have a general
7 Q&A with the audience during the conference; however,
8 members of the audience and others may submit written
9 comments in Docket Number AD-17-8.

10 Actions that purposely interfere or attempt to
11 interfere with the commencement or conducting of the
12 conference or inhibit the audience's ability to observe or
13 listen to the discussions, including attempts by audience
14 members to address the Commission while the meeting is in
15 progress are not permitted. Any person engaging in such
16 behavior will be asked to leave the building. Anyone who
17 refuses to leave voluntarily will be escorted from the
18 building.

19 So with that, let me turn, first, to Acting
20 Chairman LaFleur for any remarks she may have.

21 CHAIRMAN LA FLEUR: Thank you very much, Mike,
22 and good morning everyone, very happy to have you here. We
23 have a great lineup of panelists and I've read great
24 pre-filed testimony and happy to have everyone in the
25 audience. It's not only exciting to have people in the

1 Commission Meeting Room, but is even under normal
2 circumstances, I think, one of my favorite days of the year
3 because it's such a great discussion.

4 I enjoyed reading the pre-filed testimony and
5 the state of the reliability report. Thank you, Gerry. I
6 just wanted to outline three macro topics, three things that
7 I hope to get from the day as we think about these topics
8 and think about where we're going reliability for FERC 2.0
9 that will be joining us soon and we'll be moving to the
10 other side of the table again.

11 First, is where we are in the standards process?
12 As Mike said, we're 11 years into Section 215 and the ERO
13 Enterprise, so where are we? Have we reached steady state?
14 Are we in steady state? Are there emerging issues that we
15 need to focus on and really build up the standards? These
16 are not mutually exclusive, but it might be complementary,
17 or are there ways in which we need to streamline or reduce
18 the standards.

19 I saw some testimony from some people about
20 selective enforcement based on whether the standards posed a
21 risk to bulk system reliability. Well, all of the standards
22 are supposed to be need for reliability. So if there are
23 standards are not needed for reliability, where are we on
24 the standards? I'd like to get a sense of where we are and
25 where we should be going in a macro sense in the body of

1 standards.

2 Secondly, I want to think a little bit about
3 priorities going forward. I always say given the rather
4 unique structure that Congress gave us between NERC and
5 FERC, the success of our reliability effort really depends
6 on our having shared priorities. So as we address emerging
7 issues, be they related to grid security or transformation
8 of the resources on the grid, what should NERC and FERC 2.0
9 be working on in the coming year between now and when we
10 have our next conference?

11 And as we look at those issues, what tools
12 should we be using because standards is a tool, but we have
13 assessment and the data work and all of the analysis that
14 NERC and the Commission can do. Voluntary collaboration is
15 another tool and how can we balance sticks like the
16 standards or mandatory rules -- you know mandatory things we
17 put in interconnection agreements, with carrots like market
18 structures to get what we need on the grid. You know which
19 of our tools should we be using to get from here to where we
20 need to be in the future.

21 And thirdly, I want to focus on resilience, and
22 I know the afternoon panel is really bore in on that.
23 Resilience seems to be the word of the day. Sometimes I
24 think it means different things to different people. To me,
25 resilience means the ability to recover if something bad

1 happens.

2 That true, you try to have resilient kids when
3 you're raising children. I like to brag that FERC is
4 resilient because we've been through a lot in the last
5 several months, in the last couple years, and so an
6 institution can be resilient and the grid can be resilient
7 if it can recover if something bad happens. So we talk a
8 lot about the solution against all hazards is building up
9 the resilience, and I don't like to say "resiliency." I
10 know some people put a "Y," but we don't have time for that.

11 The resilience of the Bulk Electric System does
12 it come from design? Should we be designing it in a
13 different way to build in more redundancy or optionality or
14 ability to island? Does it come from our spearing strategy,
15 things like grid assurance and building on that? How about
16 standardization? There's a law that I have to mention that
17 at every Reliability Tech Conference. If we had more
18 standardization of design and equipment it would be more
19 resilient. And those are some of the things I want to talk
20 about this afternoon. How we really build up resilience,
21 whether we're talking about GMD, EMP, cyber, or anything
22 else. And of course, in all of these cases how can FERC
23 support it.

24 There's going to be a lot of competition for
25 airtime at FERC, but reliability is job one and this will be

1 one of the first things we're talking to our new colleagues
2 about and hopefully we'll have some ideas coming out of
3 today about what the priorities should be. Thank you very
4 much.

5 MR. BARDEE: Thank you Acting Chair LaFleur.
6 Commission Honorable.

7 COMMISSIONER HONORABLE: Thank you, Mike. Good
8 morning everyone. I was mentioning to a couple of gentlemen
9 before we started that this is our annual reliability party
10 and I'm glad that you all attended.

11 I noticed we don't have as many people as we had
12 at our markets tech conference, but that's okay. What we
13 have here today are the people who are very serious about
14 this work, who are committed to, and we're going to roll up
15 our sleeves and be as technical as you would like. So this
16 is the place for energy nerds and geeks, I would suggest.

17 I'm really glad that we're all here gathered
18 this morning to focus on what I call the bread and butter of
19 what we do here at the Commission and that is ensuring the
20 reliability of the Bulk Power System. And I especially want
21 to thank Mike Bardee and staff especially for your
22 leadership and hard work in pulling together this conference
23 and leading until our colleagues join us whenever they will
24 join us and I hope it will be very soon.

25 I'd like to especially mention Lodie White, who

1 has worked so hard in pulling all of this information
2 together. I want to thank each and every one of our
3 panelists. A number of you are repeat performers and we're
4 grateful for that. Thank you for the work that you do each
5 and every day and also the prospectus that you bring and the
6 willingness that you have to share it with us. I especially
7 want to thank our international colleagues who are joining
8 us. We look forward to that discussion every year.

9 As I often say, it's a new day here at the
10 Commission and this isn't our parents or grandparents' grid
11 any more. When we used to think about how the grid
12 operated, I believe that we thought more about the cost to
13 produce it. Do we have enough capacity to transmit it where
14 it needs to go? But while those are still crucial issues in
15 my mind, we also have to worry about a whole host of other
16 issues that we may not have thought about 10 or 15 or 20
17 years ago.

18 More than ever utilities need to be concerned
19 now with where and how power is moving and ensuring that we
20 have adequate voltage support, frequency response, inertia.
21 And while we always knew that these aspects were important
22 in moving energy with the dynamic shift in resources and
23 differing attributes of increasingly abundant resources,
24 such as renewables, we must pay careful attention to these
25 characteristics now. We also are having to pay greater

1 attention to ever-changing cyber and physical security
2 threats as well as electromagnetic pulses and geomagnetic
3 disturbances.

4 Also, we are more focused on technological
5 advancements and diversity of resources, which have both
6 created new opportunities, but I would suggest they're also
7 equally creating new challenges for us and it really
8 requires us to elevate our game, so to speak, but also the
9 ways in which we work together. And that's why today's
10 discussion is so important in my mind, given the profound
11 changes occurring in our electric system, this is an
12 opportune time to take stock of the progress we've made,
13 where we can improve, with a view of what lies ahead.

14 The NERC's 2017 State of Reliability Report --
15 thank you, Gerry and colleagues -- raises a number of issues
16 for us to consider and I look forward to hearing from our
17 panelists about what's working well and more importantly,
18 what we can do better. This isn't a time, in my mind, for
19 us to come together and pat ourselves on the back. It's a
20 time for us to take stock of where we are and more
21 importantly, where we need to be and how we get there
22 together.

23 I want to take a moment, if I might, to thank
24 Gerry, Janet, Marcus, Mark, and all of our colleagues at
25 NERC for the dedication that you bring each and every day

1 and all the regional entities who carry out this important
2 work so well. I've greatly appreciated in my tenure here
3 the opportunities to visit with you, Gerry and your team,
4 but also to spend time at NERC MRC and board meetings, which
5 I admit were a little overwhelming my first time; but also
6 at CERC's meeting with reliability first. Sitting in on
7 MISOP's discussions at SPP, and with CERC, and I've been
8 delighted to host a number of you here at FERC, including
9 the MRO, WEK, PEAK, and others.

10 Thank you most of all for taking time to educate
11 us and letting us know about the current state of play, but
12 I also see the fruit that this labor brings and I see that
13 we've increased our levels of coordination and decreased
14 MISOP's, we'll hear about that today. We have a stronger
15 focus on cybersecurity and physical security and a greater
16 level coordination among stakeholders in the NERC process
17 and in our working relationship with NERC and I'm really
18 grateful for that and I want to thank you all for exhibiting
19 such a strong commitment to this work.

20 But we know that our work is not done. We must
21 continue to remain vigilant, to be nimble, responsive, and
22 to remember that no matter what the industry looks like in
23 the future our jobs at their core remain the same, to ensure
24 electricity is delivered safely, reliably, and affordably to
25 the consumers that we serve.

1 I hope that throughout this day, and I thought
2 it was interesting that yesterday was the summer solstice
3 and the longest day of the year. I wish this meeting was
4 yesterday because we never have enough time to cover all the
5 things we want to talk about, but I'm particularly
6 interested in, and I mentioned to Pat Hoffman before we
7 began, three key areas that I think we need to pay attention
8 to going forward.

9 Number one is cybersecurity. And I know that's
10 a priority for so many of you, but I think -- and I think
11 everyday consumers are more aware of how cyber threats are
12 growing and evolving and it really requires a new level of
13 awareness education and commitment and an ability to defend
14 our facilities and resources.

15 Number two is gas/electric coordination. I
16 think as we're seeing such a dynamic shift in the energy mix
17 -- and I applaud FERC long before I arrived -- focus on
18 gas/electric coordination. And when I was a Commissioner
19 along side Chair Haque, we engaged diligently with our FERC
20 colleagues on the issue of gas/electric coordination. That
21 issue will only become more challenging for us, I suggest,
22 going forward.

23 Last, but not least, is an area that I've seen
24 really resonate in the pre-filed comments that we will hear
25 about today during the tech conference, and that is our

1 state and federal coordination with our regulatory
2 colleagues. I especially want to thank our colleagues at
3 NERC. Thank you, Chairman Haque. My goodness, you're
4 wearing many hats as you elaborately stated in your
5 comments. We need for our state colleagues to be right
6 there at the front lines with our federal colleagues in
7 carrying out this important work. And I look forward to our
8 discussion today. Thank you.

9 MR. BARDEE: Thank you, Commissioner.

10 Now we'll turn to our panelists for their
11 opening remarks, starting with Gerry Cauley.

12 STATEMENT OF MR. GERRY CAULEY

13 MR. CAULEY: Thank you. And good morning
14 Chairman LaFleur and Commissioner Honorable and I guess
15 virtual Chairman Bardee for today and FERC staff and fellow
16 panelists.

17 I want to thank the Commission for holding this
18 annual Reliability Technical Conference to discuss
19 reliability results and priorities. I'd like to offer my
20 thoughts on four key points from NERC's fifth annual State
21 of Reliability Report, which was issued this past week.

22 First, low power system reliability remains very
23 high. It continues to show year over year improvement.
24 Industry has been very responsive to our risk-based approach
25 and has been shifting resources to fix the most critical

1 changes to reliability. In 2016, we once again saw no
2 category four or five events and only two category three
3 events. Equipment failures continue to have the highest
4 positive correlation to outage severity or impacts. Relay
5 miss operations and human error are second and third. The
6 number of transmission line device failures and human error
7 reports in 2016 both increased, although the impacts of each
8 declined. We believe the increase in reported incidents is
9 due to better cause analysis, which also resulted in the
10 corresponding reduction in reporting of unknown causes.

11 The reduction in relay miss operations continues
12 to be very encouraging. 2016 saw the miss operation rate
13 decline from 9.5 percent to 8.7 percent. A second point is
14 that I believe NERC standards and risk-based compliance are
15 having a positive impact on reliability. On June 18, on
16 Father's Day, we passed the 10-year anniversary of mandatory
17 standards. These standards have had a major impact on
18 reducing risks in areas such as vegetation management,
19 situation awareness, operator training and system planning
20 and modeling.

21 Over time, we've seen a dramatic decline in the
22 number and the severity of compliance violations. I
23 believe, however, it may be time to focus again on
24 streamlining the requirements to ensure the investment and
25 compliance is commensurate with the reliability gains. We

1 also want to continue working to ensure that compliance
2 becomes integrated into reliability operations and is not
3 seen as a separate administrative burden.

4 A third point is that changing technology and
5 resource mix are reshaping reliability at a pace we've never
6 seen before. We've seen the introduction of digital
7 technology operating in microseconds being integrated with
8 traditional protection and control systems that operate in
9 cycles and seconds.

10 A clear example occurred last August 8, 2016,
11 during the Blue Cut fire in California. In the past week,
12 NERC published a technical paper and a Level 2 alert
13 describing how 1200 megawatts of solar power quit producing
14 at a critical time because the invertors were interpreting
15 transit voltage and frequency values from line trips as the
16 actual system frequency and voltage. I want to applaud the
17 recent response of the California ISO to require additional
18 reserves in the market to address uncertain response from
19 some inverter-based resources.

20 NERC has been working with renewable vendors to
21 adjust inverter settings and to provide effective ride
22 through capability and the vendors, I assure you, are being
23 very cooperative with us on this issue. I also feel we may
24 need to clarify our standards to ensure that when new
25 technology gets introduced into the system that the

1 terminology that we used to think was fine is clear with
2 regard to the new technology.

3 We're also focused on a number of other emerging
4 reliability risks and I'll leave those primarily to Mark
5 Lauby on the next panel, but they are the impact of
6 distributed energy resources on the Bulk Power System. The
7 dependence on natural gas, particularly, critical storage
8 and pipeline facilities, and the adequate provision of
9 essential reliability services when large rotating machine
10 which used to be base loaded are now not being dispatched.

11 My fourth point is that cybersecurity has become
12 the most important risk that we face. Today I believe we've
13 seen exceptional performance with no electrical system
14 outages or serious events, but as we will hear in a later
15 panel from Mark Sachs the threats are becoming more serious
16 and at an alarming rate. The 2015 and 2016 attacks in the
17 Ukraine show that the tools for nation-stayed disruption of
18 power grids have been fully developed and tested.

19 The recent announcement of crash override, a
20 very robust threat to industrial control systems and
21 operating systems, is of very serious concern to me. NERC
22 issued an alert to industry last week with proposed
23 mitigating measures for industry. Wannacry and the Internet
24 Things attack in recent months are also likely to affect us,
25 but more in the corporate side, but those threats remain

1 serious.

2 I want to thank you for your time today and I
3 very much look forward to your questions. Thank you.

4 MR. BARDEE: Thank you, Gerry. Next, we have
5 Patricia Hoffman from the Department of Energy.

6 STATEMENT OF MS. PATRICIA HOFFMAN

7 MS. HOFFMAN: So thank you Chairman LaFleur,
8 Commissioner Honorable and the Commission staff. Thank you
9 very much for your leadership. Good morning and it is a
10 pleasure to be here to participate today at the technical
11 conference on the state of electric reliability. I
12 appreciate the opportunity to express the views of the U.S.
13 Department of Energy.

14 As Gerry has mentioned, the U.S. electricity
15 sector is in the midst of major changes and I see little
16 reason to expect that this process will slow down or that we
17 will reach some new equilibrium any time soon. On the
18 contrary, the process of change that we are experiencing
19 today will probably continue. Accordingly, I think the
20 fundamental challenge is now to understand this process and
21 to manage it with proper investments so that our nation's
22 electric infrastructure remains reliable, affordable, and
23 secure.

24 Before I highlight some topics of concern for
25 this Commission, I would like to take a moment to reflect on

1 some accomplishments by industry that are providing value to
2 system reliability. Lessons learned from the 2003 blackout
3 highlighted the need to develop better, real time tools for
4 operators and reliability coordinators, improve system
5 modeling data and data exchange practices, require the use
6 of real time synchronized data recorders, and tighten
7 communications protocols, update communications hardware
8 where appropriate.

9 Lessons learned from the 2011 Southwest blackout
10 highlighted the issues from planning, modeling, and remedial
11 action schemes. Recent hurricanes have demonstrated the
12 need for improvement in communication, automatic switching,
13 and outage management systems. A significant amount of
14 research development and deployment has advanced most of
15 these recommendations, including the development and
16 deployment of PM used, advanced meters, outage management
17 systems, real time tools for operators, but unfortunately,
18 there are still some recommendations that are still under
19 development, such as dynamic remedial action schemes,
20 improved and faster modeling systems with great fidelity.

21 The Electric Sector Coordination Council
22 reiterated the need for improved communications and
23 redundancy in communications, but as Gerry has stated, the
24 performance of the system is improving overall; however, one
25 must keep close watch on regional issues developing. So

1 with respect to this panel today, there are a couple of
2 things I'd like to highlight.

3 Physical and cybersecurity, utilities and system
4 operators need to continue the efforts to identify data,
5 facilities and systems that are essential to the reliability
6 of the system and take reasonable steps to harden them.
7 Mitigate the reliability risks associated with rising gas
8 and electric interdependence. The Aliso Canyon Event
9 involved the functional loss of a major underground natural
10 gas storage facility in Northwest Los Angeles, which has
11 lead to increased reliability risk to the Los Angeles area.

12 The third area is the need for planners to build
13 more flexibility in optionality into their systems, both in
14 the short term and the long term. The uncertainties the
15 assistant planners must take into account have multiplied in
16 recent years and this condition is not expected to change
17 any time soon.

18 With respect to data and data analytics, without
19 sustained data and visualization, long-term grid reliability
20 can be compromised. With respect to diversity of generation
21 and reliability, the electricity grid has undergone a
22 transformation as new technologies, changing economics, and
23 shifting customer behaviors and government policies are
24 driving change and we must identify the services expected
25 from the generation fleet in the United States and the

1 appropriate compensation. So with respect to distributed
2 energy resources, the trend is going towards more
3 decentralized electric grid with greater variability of
4 resources providing powers in the ways that today are much
5 less predictable, hence, the ERs are challenging to our
6 traditional approaches to planning operations and raise new
7 questions about how to control, coordinate, and optimize a
8 large number of diverse resources.

9 And the last thing I'd like to mention is the
10 reliability study. Earlier this spring, Secretary Perry
11 asked DOE staff to initiate an internal study to explore the
12 issues central to protecting long-term reliability of the
13 electric grid. Secretary Perry asked the staff to explore
14 three issues: the evolution of wholesale electricity
15 markets, including the extent to which federal policy and
16 the change in electricity fuel mix challenge grid
17 reliability, whether wholesale capacity markets are
18 adequately compensating attributes such as one-site fuel
19 supply and other factors strengthening grid resilience and
20 the extent in which regulation and legislation affect early
21 retirement of base-load generation plants.

22 While recommendations are expected from the
23 final report, it is likely that several areas related to
24 reliability will be identified for further research and
25 study. So with that, I'd like to conclude my comments and

1 thank you and look forward to questions.

2 MR. BARDEE: Thank you, Pat. Next, we have
3 Chairman Asim Haque from Ohio.

4 STATEMENT OF MR. ASIM HAQUE

5 MR. HAQUE: Good morning. Chairman LaFleur,
6 Commissioner Honorable, and staff, thank you for inviting me
7 to participate in today's technical conference. My name is
8 Asim Haque and I am the Chairman of the Public Utilities
9 Commission of Ohio. I have the privilege of serving on the
10 Board of Directors of NARUC and I'm also one of two state
11 government sector representatives elected to the Member
12 Representative Committee of the NERC, actually an
13 opportunity that was provided to me by then-President
14 Honorable. So thank you -- I think thank you.

15 It is in this total capacity, Chairman of the
16 State Commission, representative of NARUC and of the NERC
17 MRC that I present these remarks today. These remarks are
18 meant to simply inform the Commission on topics related to
19 NERC's reliability endeavors that are foremost on the minds
20 of the states. These topics include distributed energy
21 resources and their collective impact on the Bulk Power
22 System, reliability impacts associated with the retirement
23 of base-load resources and efforts to incorporate costs into
24 the NERC's standards process.

25 Before I elaborate on these topics, I would like

1 to first recognize the diligent work of NERC. NERC has the
2 difficult and highly technical task of ensuring the
3 reliability of the Bulk Power System and it performs very
4 admirably in that task. State commissions also appreciate
5 the strong relationship we have developed with NERC.

6 The rapid advancement of technological
7 innovation on the electric grid is causing many states to
8 launch grid modernization endeavors. Ohio, in fact,
9 recently launched a comprehensive grid modernization
10 endeavor entitled "Power Forward." Power Forward is built
11 upon to pillars, innovation, both technologic and
12 regulatory, and the concept that this innovation must serve
13 to enhance the customer electricity experience.

14 As the PCO has learned in Power Forward,
15 innovation associated with distributed energy resources is
16 quickly growing and we expect for this marketplace to
17 continue to expand. Regardless of the path the states take
18 for integrating and compensating these resources, the states
19 understand that they are traversing through somewhat
20 uncharted waters. This sense of the unknown also applies
21 to the intersection of distributed energy resources and the
22 Grand Pack Dunball Power System reliability.

23 NERC understand this and has proactively created
24 the Distributed Energy Resources Taskforce. NARUC is
25 pleased to be actively participating in dialogue with

1 members of that Taskforce. They believe that the
2 recommendations in that Taskforce's final report associated
3 with things like data sharing, modeling, and industry
4 collaboration are very, very sensible.

5 The states understand that the increased
6 proliferation of the distributed energy resources cannot
7 compromise bulk power system reliability. The states and
8 NERC are learning together and the states stand ready to
9 assist. This could take the form of information sharing so
10 that appropriate modeling can be conducted for the
11 recommendation of that Taskforce report. This could also
12 take the form of an effort that produces some type of
13 uniform guidance socialized through NARUC.

14 There continues to be much dialogue surrounding
15 the changing resource mix and the retirement of coal and
16 nuclear generating plants. Some states are taking measures
17 to subsidize these base-load plants through various state
18 initiatives. These state initiatives have prompted very
19 robust policy debates. Missing from this discussion,
20 however, has been a true scientific analysis to explain
21 reliability risks to the Bulk Power System as these
22 base-load units face potential retirement.

23 NERC is uniquely situated to conduct this
24 analysis, as the electrical liability organization for North
25 America NERC is capable of examining this issue through

1 actual science and engineering. NERC conducts special
2 assessments on emerging issues and trends that will
3 influence both power system planning, development, and
4 system analysis and this is one of those items that NERC is
5 considering studying.

6 Grid reliability should be viewed as a
7 scientific problem and NERC's concept of a special
8 assessment for accelerated base-load retirements could
9 provide concrete data that may serve to inform public policy
10 determinations, thus, NARUC would support and encourage
11 NERC's efforts to engage in collaborative discussions based
12 on the scientific outcomes of that study.

13 I previously testified that cost should be
14 considered in NERC standard development and implementation
15 and that this would help to foster a culture of reliability
16 excellence. The cost of facility compliance with NERC
17 reliability standards will always be a concern. For state
18 commissions, I am pleased to report that NERC, based on
19 input from its stakeholders, including NARUC, has developed
20 a plan to promote cost analyses in its standards process.
21 NARUC has requested that NERC provide meaning reporting
22 related to the outcomes of these endeavors at least
23 biannually. After NERC's latest proposals are initiated, we
24 would like to know how these actions are tangibly impacting
25 the -- process, if at all. But again, NERC has done a

1 marvelous job in addressing this.

2 Commissioners and fellow panelists, thank you
3 again for the opportunity to participate this morning. I
4 look forward to questions.

5 MR. BARDEE: Thank you, Asim. Next, is Charles
6 King, testifying on behalf of EEI.

7 STATEMENT OF MR. CHARLES KING

8 MR. KING: Thank you and good morning. Acting
9 Chair LaFleur, Commissioner Honorable, staff, for the
10 opportunity to be here this morning. Just a brief
11 perspective that I think is important when we have these
12 conversations, electricity's value is measured by its
13 reliability. The significance of reliability has not
14 changed significantly since the times of Thomas Edison first
15 opening the Pearl Street Electric Station in New York City
16 up through the technological advances that have lead us to
17 the modern electrical grid today marked by things such as
18 renewables, distributed generation, smart grid tools that
19 include energy response and then also ideas that were once
20 aspirations of how we would use electricity that are today
21 reality, such as electric vehicles.

22 However, those innovative transformations, as we
23 all know, that are a part of the electrical grid today have
24 also brought forth challenges to reliability as we've
25 already discussed this morning, and that includes providing

1 essential reliability services and also, of course,
2 cybersecurity as two of the largest.

3 I'd like to underscore that when we discuss
4 reliability it's essential that we keep in mind the industry
5 incentive fostered by the very nature of our business. It's
6 simply in our DNA to provide reliable sources of power and
7 deliver that power reliably to our customers each and every
8 day. With or without mandated standards, the industry is
9 focused on providing reliable power. Now the reliability
10 standards are in place to provide a strong regulatory
11 framework that promotes and works to support reliability.

12 The Commission, NERC, and the industry, I think,
13 have done an excellent job at building and implementing that
14 framework as evidenced by the current high levels of
15 reliability. The reliability risks take on many forms,
16 shapes, and sizes. For example, cybersecurity every day it
17 evolves. It exploits known vulnerabilities, unknown
18 vulnerabilities and we also have innovations, such as those
19 I mentioned a moment ago that give us distributed energy
20 sources.

21 But as good as the regulatory and standards
22 framework is at promoting reliability and addressing
23 challenges and threats to reliability, the speed at which
24 these risks and threats are evolving creates concerns.
25 Cybersecurity, for example, the threats evolve literally

1 every day and the process and time it takes to develop a
2 standard and implement a standard may not yield the desired
3 results to mitigate vulnerabilities in a timely fashion.

4 Today's grid technology continues to rapidly
5 evolve, such as smart inverters. Sometimes those underlying
6 reliability risks cannot be identified and mitigated as
7 quickly as desired, which makes drafting reliability
8 standards and requirements difficult without the time for
9 effective study and cooperative research. While the
10 standards development process is solid and effective, its
11 design does not easily accommodate these emerging, evolving
12 risks that we face today.

13 In light of this limitation, we need to seek out
14 ways to supplement our current processors and other
15 alternatives. Many in government and the industry, however,
16 have already stepped up to this challenge, for example, the
17 work done by the Electricity Subsector Coordinating Council
18 recently in the area of grid security. The definition and
19 roll out of the cyber mutual assistance model I think is an
20 excellent example of that partnership. That partnership, by
21 the way, between industry and government does not replace
22 the current regulatory and standards development process.
23 It simply offers an alternate path to expedite response and
24 further strengthen the grid.

25 We encourage the Commission to look for

1 alternatives to prescribing new or burdensome regulations to
2 addressing these emerging reliability risks. Grid
3 technologies and the reliability risks associated with them
4 are going to continue to rapidly evolve, too rapidly to
5 address them through prescriptive requirements.

6 The Commission, NERC, and us as industry, we all
7 have a shared commitment to reliably operate the Bulk Power
8 System. That's evidenced by ongoing work to address
9 reliability, improve reliability through regulation,
10 government/industry partnerships, applying lessons learned
11 from events in North America and around the world, and also
12 just the rigor with which we approach addressing new
13 challenges caused by new technology and emerging threats.

14 So in recognizing industry's responsibility to
15 our shared commitment to sustain and advance reliability,
16 we'll continue to partner with the Commission, bring forward
17 possible solutions, alternatives, different approaches and
18 we look forward to collaborating with the Commission, NERC,
19 and our other stakeholders to discuss these possible
20 solutions as we all work together to protect and advance the
21 reliability of the grid. Thank you.

22 MR. BARDEE: Thank you, Mr. King. Next, we have
23 Steven Wright, speaking on behalf of the Large Public Power
24 Council.

25 STATEMENT OF MR. STEVEN WRIGHT

1 MR. WRIGHT: Thank you for the invitation to
2 appear again today at this conference. We reviewed today a
3 unique law that assumes effective collaboration and
4 communication between industry and government. Through
5 focusing annually on the most strategic issues, this
6 conference is an important element of making the law
7 successful.

8 I want to start from the perspective that (mic
9 malfunction) -- , managing a number of systems that I've had
10 responsibility for adopting those standards.

11 To get to the first two points that Acting
12 Chairman LaFleur laid out, we have four primary suggestions
13 for strategic focus for the next year. First, create more
14 compliance management rewards for entities that embrace a
15 risk-based approach to reliability standards. The standards
16 are appropriately a systematic, methodical means for
17 managing a very complex system

18 In the case of our utility, and I believe most
19 around the country, our compliance management staff and
20 costs continue to grow. Our challenge since the time this
21 conference was originally initiated is how can we get the
22 biggest bang for our buck. The NERC risk-base compliance
23 and monitoring enforcement program encourages utilities to
24 perform inherent risk assessment to better understand
25 impacts the entity has on the Bulk Electric System. And

1 the CMAP also encourages an assessment of internal controls
2 that an entity has in place to manage reliability risks.

3 At Chelan and for many of my LPPC colleagues, we
4 chose to go all in on IRA and ICE. There is no doubt in my
5 mind that the resulting knowledge and process management has
6 improved our impact on the reliability of the system. And
7 in fact, our auditors identified us as a top tier performer.
8 What I had expected, though, was that as we better
9 understood and documented our contribution to reliability
10 there would be reductions in compliance management costs.

11 Now in fact, our audit scope was reduced by 87
12 percent, making data process go smoother. To this point,
13 though, there has been little reduction in our documentation
14 requirements, which is where the bulk of reliability
15 management costs occur, of the 1,236 requirements and
16 sub-requirements applicable to Chelan four have been
17 identified as eligible for self-logging.

18 NERC has proposed process modifications that
19 could lead to more rewards for utilities that choose the
20 path of seeking excellence and we encourage FERC to respond
21 positively to these initiatives. We also would suggest that
22 the regions be given more authority to say don't worry about
23 where individual entities' standard implementation is not
24 material to Bulk Electric System reliability.

25 Second, the use of cost-effectiveness criteria,

1 NERC is to be commended for their efforts to advance this
2 concept. A lot of good work has been done. But as a
3 knowledgeable friend of mine recently summarized, it's
4 difficult and we still have a long ways to go. We would
5 encourage further dialogue between industry and NERC and
6 FERC to advance these concepts.

7 An important issue to arise this past year has
8 been supply chain procurement. LPPC believes this problem
9 is real and must be addressed and it's good news that the
10 industry has recently approved a new standard. I'm
11 concerned; however, that fundamental management principles
12 and accountability are at risk of being violated by managing
13 this challenge only through the statutory framework of
14 mandatory standards that apply solely to the electric
15 utility industry. An entity can only reasonably be held
16 accountable for actions that they can control and I would
17 strongly encourage that FERC, NERC, and the industry jointly
18 approach other federal agencies that have cybersecurity
19 responsibilities to develop an overarching strategy that
20 extends beyond the electric sector.

21 Fourth, any discussion of reliability would not
22 be complete without considering the changing nature of the
23 physical operation of the Bulk Electric System,
24 particularly, in the West where there's a proliferation of
25 variable energy resources. The challenge of managing a

1 system with increasing amounts of non-dispatchable resources
2 has been understood since at least 2013, but the pace of
3 BERS being added to the system is accelerating beyond
4 previous projections. Actions are being taken and near-term
5 reliability, I believe, is likely not at risk, but as the
6 fleet and grid transform metrics such as a resource adequacy
7 need to evolve.

8 At this point, solutions beyond the next three
9 to four years addressing in particular the afternoon ramp
10 challenge are not agreed upon or being executed. And we
11 also have to consider alternative means of compensating for
12 needed flexible capacity.

13 So in conclusion, we should be proud that
14 reliability is getting better, but as with any system there
15 are opportunities for continuous improvement. We commend
16 the Commission for holding this conference on an annual
17 basis and look forward to continuing to work with you.

18 MR. BARDEE: Thank you, Steve. Next, we have
19 Dr. Babak Enayati from IEEE.

20

21 STATEMENT OF DR. BABAK ENAYATI

22 DR. ENAYATI: Thank you. Good morning Chairman
23 LaFleur, Commissioner Honorable, FERC staff, and my fellow
24 panelists. I thank you for the opportunity to speak at this
25 conference today. IEEE is the world's largest technical

1 professional organization dedicated to advancing technology
2 and IEEE and its members inspire global community to
3 innovate for a better tomorrow for its more than 420,000
4 members in over 160 countries in its high cited publications
5 conference psychology standards and professional and
6 educational activities.

7 As the most active IEEE society in publishing
8 standards, IEEE Power and Energy Society provides the
9 world's largest forum for sharing the latest in technological
10 developments in the electrical power industry and so various
11 policies, regulations, and legislation seek to deliver the
12 environmental objectives for the power generation sector.
13 The North American Electric Power System is becoming more
14 reliant on wind, solar, natural gas, and demand response.

15 In addition to changing energy landscape in the
16 wholesale market, most of the states in the U.S. have
17 ambitious goals to deploy DER in the retail market as well.
18 Given that DER penetration, including green -- generation is
19 increasing rapidly in the U.S. The impact on the Bulk Power
20 System reliability is becoming more apparent.

21 In order to avoid reliability violations, supply
22 disruptions, or extensive transmission upgrades, DER
23 interconnection standards need to be updated to allow DERs
24 to support the Bulk Power System during frequency and bulk
25 disturbance, also known as ride through capability. As

1 deployment of DERs on the distribution system increases, the
2 impacts on the Bulk Power System reliability need to be
3 addressed promptly by updating the standards that govern the
4 technical aspects of the DER interconnections.

5 Many utility distribution companies in the U.S.
6 have adopted IEEE 1547 standards, which provide a set of
7 technical requirements that each DER shall meet to
8 interconnect to the distribution electric power system.
9 Given that the implementation of IEEE 1547 standard is
10 essential to the Bulk Power System reliability, there are
11 some major challenges associated with the implementation of
12 the standard.

13 The top two concerns are, number one, modeling.
14 Currently, the tools that are widely used by distribution
15 for utilities for DER interconnection protection studies are
16 not capable of accurately modeling the DERs with the grid
17 support functionalities, also known as advanced DERs.

18 Number two, concerns related to adverse impact
19 of advanced DER functions on the distribution system
20 anti-island protection and short circuit fault detection.
21 Some distribution utilities are concerned that the advanced
22 DER functions may have adverse impact on the distribution
23 system protection related to the prolong fault and island
24 distraction due to the ride through requirements.

25 What needs to be done? As the IEEE 1547

1 standard is in the revision process, IEEE recommends that
2 the Commission collaborates closely with the distribution
3 utilities, the original ISOs to resolve the concerns
4 associated with implementing the DER ride-through
5 requirements. This collaboration will avoid the delay to
6 implement the IEEE 1547 standard once it's officially
7 published. IEEE believes that the Commission and NERC can
8 play a key role in directing those discussions through the
9 regional ISOs.

10 IEEE Power and Energy Society has the resources
11 and the technical knowledge to help the Commission, NERC,
12 and the regional ISOs to implement the industry standards
13 related to Bulk Power System reliability. And I also want
14 to give you the good news that the 1547 standard passed the
15 ballot last Sunday. So it was open for ballot for a month
16 and it passed the ballot. They are forming a comment
17 resolution team and will address the comments that we
18 received. It was in total about 1,457 comments, so yes,
19 we'll work on those comments and we're targeting the end of
20 this year, hopefully, to publish the standards.

21 So this concludes my presentation. I will be
22 happy to address any questions you may have.

23 MR. BARDEE: Thank you, Doctor. Next, we have
24 John Twitty from the TAPS Group.

25 STATEMENT OF MR. JOHN TWITTY

1 MR. TWITTY: Madame Chair and Commissioner
2 Honorable, nice to be here today. Mr. Bardee, thank you
3 very much for the opportunity. I am here today to speak on
4 behalf of TAPS. TAPS is an organization that represents
5 transmission-dependent utilities in 35 states. The members
6 of TAPS are joint action agencies and utility operators with
7 direct responsibility for keeping the lights on for their
8 customers.

9 Because we are transmission-dependent, we are
10 highly reliant on the reliability of transmission facilities
11 owned by others and at the same time many TAPS members are
12 subject to compliance with NERC standards. So we are both
13 supportive of cost-effective actions to ensure bulk system
14 reliability and acutely aware of the increasing cost of new
15 reliability regulations.

16 I've been in the business now in my 35th year
17 and have experienced two municipal utilities and now at
18 TAPS. I also have the privilege this year of serving as the
19 Chair of the NERC Member Representatives Committee and I was
20 a member of the NERC Reliability Issues Steering Committee.
21 So collectively, this experience has provided me lots of
22 thoughts about customers and reliability.

23 Let me began by acknowledging the success that
24 FERC and the ERO have had over the past decade and a little
25 bit more. We've collectively kept cascading outages to a

1 minimum through a period of rapid change in the industry and
2 with technology and I suspect everybody agrees those changes
3 aren't going away. I believe it is important to emphasize
4 that we must be careful to measure reliability against what
5 the Congress wrote.

6 Outages occur for a variety of reasons, of
7 course, but Congress directed that FERC and its ERO guard
8 against BPS instability, uncontrolled separations, and
9 cascading outages. This focus is particularly important to
10 remember, especially as distributed energy resources begin
11 to play a greater role in today's grid. We must be
12 sensitive to avoid allowing the federal jurisdictions of
13 FERC and NERC to creep into local distribution systems of
14 the operating utilities across America. It should not be
15 the intent of FERC to undercut state and local regulatory
16 mechanisms that are best designed to serve the need of local
17 communities.

18 I would also like to discuss the cost associated
19 with the requirements of standards that have implemented
20 since they became mandatory with passage of the Energy
21 Policy Act of '05. When I served as general manager of City
22 Utilities, I used to say to our industrial customers that we
23 could guarantee 100 percent reliability, but they wouldn't
24 want to pay that much. The engineers in the room always
25 used to say you really can't do that and we might all agree

1 about that, but the point is the higher degree of
2 reliability delivered the higher the cost.

3 We all understand the importance of
4 competitively prices energy and its impact on the
5 competitiveness of our customers. After all, it is the
6 commercial and industrial customers we serve who provide
7 jobs in our community. I also think we need a renewed
8 paragraph 81 effort. When FERC first suggested that
9 requirements and standards be reviewed to make sure we
10 weren't duplicating effort or undertaking efforts with
11 little benefit, it was a welcomed sign.

12 Earlier this year, Gerry Cauley mentioned that
13 very thing and we support it in the strongest possible
14 terms. Once that first effort was underway, we were hoping
15 there could be a significant number of requirements that
16 could be retired. And while there are successes to be
17 celebrated, we believe there are even more requirements and
18 standards that should be carefully reviewed to see how much
19 value they bring.

20 Let me close by stating the obvious,
21 cybersecurity and cyber issues, generally, have given us
22 perhaps a greater threat than any we face. Many positive
23 steps have been taken to help address these issues with the
24 EISAC and ESCC working actively to help prevent widespread
25 outages. Again, TAPS is most supportive of these efforts,

1 but we must be careful about the costs associated with this
2 work and carefully examine whether tools available to FERC
3 and NERC other than reliability standards are better suited
4 to promptly addressing evolving cybersecurity threats taking
5 full advantage of quickly changing technology and lessons
6 learned.

7 Again, thanks so much for the opportunity to be
8 here today. Look forward to the conversation.

9 MR. BARDEE: Thank you, John. And finally, we
10 have John Hughes from ELCON.

11 STATEMENT OF MR. JOHN HUGHES

12 MR. HUGHES: Thank you Michael and
13 Commissioners. It's a privilege to be back here. And on
14 behalf of my members, I want to state that a few things are
15 as important to ELCON members as reliable electric service.
16 They can't do business without impeccably reliable service.

17 I also want to start on a positive note by
18 thanking the leadership of the ERO Enterprise for the access
19 that they've given to large manufacturers and particularly
20 NERC staff, the very capable Board of Trustees and the
21 regional entities. I think I can state that NERC is no
22 longer a utility club.

23 I especially want to compliment NERC and the
24 regional entities for adopting results-based standards
25 development and the risk-based approach to compliance

1 monitoring and enforcement. This has significantly reduced
2 a regulatory burden of NERC standards on our members that
3 are registered entities and is also, I believe, prevented
4 frivolous registration by members that provide no risk to
5 the reliable system.

6 ELCON members have a unique perspective on
7 reliability issues. Our definition of reliability is much
8 broader than what was in Section 215 and by that I mean that
9 we are subject to the dual jurisdiction of states as well as
10 the federal laws and many manufacturing facilities are
11 interconnected that both the BEF system as well as the
12 distribution system and events on either one of those
13 systems can impact the manufacturing process.

14 We have an overriding concern about the current
15 changes in the industry with the adoption of more
16 intermittent resources and DER distributed energy resources,
17 but we are grateful for the fact that at least at the BES
18 level NERC is addressing these concerns and we hope that the
19 Commission will support these efforts by NERC.

20 With the remainder of my time, I want to focus
21 on two specific areas of concern. First, in the interest of
22 the canary in the mine shaft, several of my members are
23 reporting an increase in power outages that do material
24 damage to their manufacturing facilities. And I don't have
25 enough degrees of freedom of data on this to really

1 definitively identify a trend. They seem to be scattered
2 throughout the United States and the best I can tell
3 they're kind of 50/50 at both the BES level and the sub-BES
4 level.

5 While I'm continuing to work with my members to
6 try to identify more specifically what's going on,
7 obviously, these are not associated with any type of wide,
8 cascading outage. These are all local events. I keep
9 hearing from quite a few of my members that they're
10 experiencing greater voltage problems outside the fence of
11 their manufacturing facilities. Of particular concern is
12 they're getting no feedback from their local utility on
13 what's causing these problems.

14 A second concern deals with a trend that there's
15 an expectation that manufacturers should have their
16 manufacturing process dispatched for the purpose of
17 providing BES reliability and they can't do that. There's a
18 term called "demand flexibility" that's used by advocates of
19 a carbon-free society to explain why they think that it's
20 really the customers that should be providing the
21 reliability to the system rather than utilities.

22 We disagree with that mindset. Most
23 manufacturing facilities, especially large ones, are
24 inflexible. And I would note that NERC has -- excuse me,
25 FERC has a NOPAR pending on primary frequency response which

1 goes down that path and we would like to see a speedy
2 resolution of that issue.

3 And again, thank you for the opportunity to
4 appear and I look forward to your questions.

5 MR. BARDEE: Thank you, John. Thanks to all of
6 our panelists. Let me turn first to Acting Chairman LaFleur
7 for questions she may have.

8 CHAIRMAN LA FLEUR: Well, thank you Mike and
9 thank you to all the panelists. I love this seat. I'd
10 rather sit where Mike is sitting, but we have a great view
11 here.

12 Okay, so many ways I could go. I think I'm
13 going to start with the question I posed in my opening
14 comments and was also raised by Steve Wright's comments.
15 And I want to call out Steve Wright as my memory being the
16 person who suggested having these conferences in 2010. So
17 in some of your comments at that time, if I recall, about
18 more interaction with Commissioners and so forth, so thank
19 you.

20 Steve, John, John Hughes -- John Twitty and John
21 Hughes all talked about I'll call it risk-based selective
22 enforcement of standards and being more risk-based in the
23 way we conduct compliance with compliance -- whatever CMEP
24 stands for, Compliance Monitoring Enforcement Program. And
25 I tried to be supportive of NERC's desire to be more

1 risk-based in enforcement, but I had this competing feeling
2 of like why do we have standards that we don't want to
3 enforce?

4 If there are standards that don't relate to --
5 that are, in Steve's words -- we should remove from the list
6 of standards if you've had this inherent risk assessment
7 standards that are needed for grid reliability. If you have
8 standards that are not needed for grid reliability, why are
9 they standards?

10 Are there things -- are there documentation of
11 other standards you would propose streamlining because it
12 comes out as like after the fact to kind of only selectively
13 enforce, but then you always a fear you might be enforcing
14 the wrong ones or the mechanisms you use to figure out what
15 to enforce with whom are not sufficiently sensitive. So is
16 there a problem with the complexity of the standards? Is
17 there something we should do 11 years in to adjust this
18 rather than backing off on enforcement?

19 And I'll maybe start with Steve, but by Gerry or
20 anyone to comment.

21 MR. WRIGHT: I think there are two ways to come
22 at this. You know one is very consistent with what Gerry's
23 talking about and one is a bit new.

24 So a few years ago, I can't remember exactly how
25 many, NERC were through the paragraph 81 process to review

1 all the standards and a couple of the panelists here and
2 Gerry, I think, said there may be time to revisit that and
3 see where we can get and that was as useful exercise. I
4 described it as modest, but significant changes that were
5 made to the standards at that time to review and understand
6 just what's working and what's not providing as much value
7 and it could well be time to review that. It depends on
8 which standards you're talking about. I don't that we're
9 really quite ready on cyber standards yet. We're probably a
10 year or two away.

11 CHAIRMAN LA FLEUR: I would agree.

12 MR. WRIGHT: So you have to look at where the
13 standards are in terms of their maturation process and then
14 decide whether it's time to go through that paragraph 81
15 process.

16 The part that I'm suggesting that's a bit
17 different is we put in place IRA and ICE in order to be able
18 to understand the impact of each registered entity's impact
19 on the Bulk Electric System. And that has really been good
20 work. I have to tell you it was hard. It was very
21 difficult, but I think it was extremely valuable to do that.
22 But now what we have is the opportunity to look at each
23 registered entity and standards are one size fits all. And
24 now with IRA and ICE, we have the ability to look at the
25 impact each registered entity has on the Bulk Electric

1 System and determine whether the one-size-fits-all standard
2 is necessary in terms of its full application to that entity
3 or not.

4 In order to do that, it would require more
5 authority to be given to the regions because there's no way,
6 I believe, that NERC could be able to manage that process
7 for all of the registered entities, but just take a look and
8 say, okay, do we need the full application of this standard
9 for this entity, given some entities are at that big impact
10 and others have a much smaller impact.

11 CHAIRMAN LA FLEUR: Well, I fully supported the
12 paragraph 81 effort, which I think Commissioner Norris first
13 suggested, but I thought of that as much more kind of
14 looking through and making sure we didn't accidentally have
15 duplicates or there were little things we could shave at the
16 edges.

17 I just want to understand. Drawn to its logical
18 conclusion, Babak, who is sitting next to you, from National
19 Grid, would have a different set of standards or Southern
20 would have the highest standards because they're bigger and
21 someone little would have fewer standards. Is that kind of
22 what you're saying?

23 MR. WRIGHT: I don't think it's necessarily
24 bigger or smaller. This is the great thing about inherent
25 risk assessment. It allows you to look what the impact of

1 the particular facilities that you have what's their impact
2 on the Bulk Electric System, so it could be that you might
3 be a small entity, but you could have a big impact on the
4 Bulk Electric System.

5 CHAIRMAN LA FLEUR: So if you don't have a big
6 impact, then we loosen up on something we might require
7 someone else to do, in concept.

8 MR. WRIGHT: And it wouldn't be tied to the
9 entity itself. You'd have to go through standard by
10 standard, right? So it could be that the individual piece
11 -- you know go back to the Southwest outage. Clearly, there
12 were facilities on the IED system which were really
13 important to the Bulk Electric System.

14 CHAIRMAN LA FLEUR: I thought of them when you
15 said that.

16 MR. WRIGHT: I think we probably all do
17 candidly, is thinking through that, so you wouldn't be able
18 to say, okay, you're a small guy; therefore, you have no
19 impact. You'd have to go through and say what is that
20 facility that you have? How does that relate to the
21 standard? How important is that to the Bulk-Electric
22 System?

23 CHAIRMAN LA FLEUR: So you're talking quite a
24 bit of customization of the standards.

25 MR. WRIGHT: Yes. And that's why I said would

1 require authority to be given to the regional entities in
2 order to be able to go through that. I don't think that
3 could be managed ^^^^

4 CHAIRMAN LA FLEUR: So think paragraph 81 is
5 enough to do any kind of macro streamlining we need to; that
6 that's enough of a tool.

7 MR. WRIGHT: So our experience with paragraph 81
8 was a favorable one. I think it worked well. And again,
9 that's probably something that should be repeated every so
10 often to just to go back through and say how has the system
11 evolved and what have we learned.

12 CHAIRMAN LA FLEUR: John?

13 MR. TWITTY: Well, Madame Chair, I think it's
14 important to continue that paragraph 81 effort. You know
15 when it first started there was lots of enthusiasm with that
16 and I would certainly agree with what Steve has said here.

17 The intent then, as I understand it, Gerry
18 certainly can correct, is that we would move that process to
19 where were writing new standard. We're writing them with
20 the thought that we're going to review what's in the field
21 of vision and in that process we're going to make sure that
22 going forward we're not duplicating, that we have
23 cost-effective standards.

24 I really would be supportive and I think TAPS
25 would be supportive of sort of a renewed effort to start all

1 over again. I think Steve's comments about internal
2 controls and inherent risks is particularly important for
3 TAPS because we're small members, by and large. And I say
4 often our members might do something that might turn the
5 lights out all across town, but it's not going to feed into
6 the Bulk System. You may catch heck at the grocery store
7 or church next Sunday.

8 CHAIRMAN LA FLEUR: Or when you see John Hughes.

9 MR. TWITTY: Yeah. Hey, John, the lights are
10 out at Alcoa today, happy to know that, really to tell you
11 why. So I would really like to see a brand new effort and
12 to further recognize that not one size fits all.

13 CHAIRMAN LA FLEUR: John Number Two.

14 MR. HUGHES: Briefly, one of the nice thing the
15 NERC does -- actually, it's something that its Board does is
16 seeks policy input from the MRC and on a quarterly basis in
17 advance to the Board members. And one of the
18 recommendations that we put forward recently I think touches
19 on what you're getting at, and that is we need some sort
20 metrics on the requirements of each standard that tie the
21 requirement to the quality of the reliability or
22 improvements in the reliability. And I think it's safe to
23 say that no standard is written perfectly and if we had more
24 time and more people to work on them we would want to
25 improve them. But maybe a metrics of this type might be a

1 way of identifying which ones could be rewritten for more
2 effectiveness and really identify and truly reduce the
3 risks.

4 CHAIRMAN LA FLEUR: Gerry.

5 MR. CAULEY: Thank you. I appreciate the
6 comments that fellow panelists in wanting to streamline and
7 get more efficient around compliance and standards.

8 One of the pivots that we're in the process of
9 making is probably not widely known, but we're preaching
10 around the ERO Enterprise is risk-based compliance standards
11 is moving to sort of how do you prioritize the most
12 important reliability issues to a new concept, which is
13 basically fearless focus on any effort you can do to prevent
14 the next outage and use the standards for that and use a
15 compliance activity.

16 So if an activity is not contributing to
17 preventing the next failure, then it's not as helpful. You
18 know so there's some value in standards and compliance for
19 punishment if somebody does really bad behavior. We're
20 making that pivot across NERC and the Enterprise.

21 So that points out a few things. First of all,
22 I do believe that there's an opportunity now to do a
23 concerted review of the standards to make sure they're all
24 contributing to preventing the next outage.

25 CHAIRMAN LA FLEUR: By definition, they should

1 all have something to do with preventing cascading outages
2 on control separation.

3 MR. CAULEY: Exactly. And given the asymptotic
4 approach, we've seen some good reliability and the crunch on
5 revenue and resources I think it's time to go back and look
6 at it again, not in an incremental five-year process, but
7 maybe one more time look into the review. I don't believe
8 we need to go as far as Steve Wright is suggesting in terms
9 of sort of an optional menu of what's enforceable for
10 different folks. I believe that we legally have and the
11 regions legally have the discretion today to monitor and
12 enforce whichever standards we feel suit an individual
13 entity and that's really the purpose of the inherent risk
14 assessment and really creating a risk profile for each
15 entity.

16 And I think the regions could continue to do a
17 better job of explaining that and explaining what will be
18 looked at and I think there can be a negotiation between the
19 entity, but I don't think it makes sense to take a North
20 American set of standards and start creating sort of a
21 little checklist matrix for each entity. The standards are
22 the standards, but if you buy in a philosophy of the purpose
23 of looking at anything is prevent the next failure it's
24 going to point you to the ones that are important for that
25 entity in that situation and based on their history and we

1 have full legal discretion to work on the ones that make
2 sense.

3 CHAIRMAN LA FLEUR: But isn't it the concept of
4 the standards that any of these things could be a leading
5 indicator of something? You know because you don't know
6 where the next failure is. You know the kind of pyramid of
7 little things lead to big things. So is the concept that
8 someone might find a company violating a standard, but say,
9 well, that one isn't really like to contribute to an outage.

10 MR. CAULEY: Well, another concept of this pivot
11 is really to get the entities to focus every day on the
12 small things so that they're managing that. So the
13 effective controls within a company to suppress the --
14 you've been saying this for years. It's a mountain of small
15 things that can actually tip us over, but if we're fighting
16 to suppress the small things on a day-to-day basis, the
17 entities are involved in that, they're aware of that, we're
18 monitoring the effectiveness of their internal controls
19 monitoring. They're self-reporting. They're
20 self-correcting. That helps deal with that sort of sneaking
21 up through a bunch of small things.

22 CHAIRMAN LA FLEUR: Thank you.

23 I want to turn to a different hot topic and
24 that's fuel and fuel security. Secretary Hoffman talked
25 about it in talking about the 60-day study. I believe Gerry

1 talked about Aliso Canyon, which is something we're very
2 closely watching, especially on a day when it's extremely
3 hot in Southern California like today.

4 Back in -- I think it was 2012 when we first
5 started on gas/electric and I put out like three questions
6 or four questions, I don't remember, to the industry. One
7 of them was how should we address this and one of them was
8 is there something we should be doing with standards. And
9 the immediate reaction was whatever you do this has nothing
10 to do with standards. Don't do standards. But is there
11 something now, as we look at the changes in the system and
12 the decreased reliance on types of technologies that have
13 on-site fuel as an exclusive base load. Should we be
14 changing our planning standards in some way to take that
15 potential loss of the pipeline into account or the gas
16 storage? Is there something we should be doing in -- that
17 NERC should be doing in that area around that issue?

18 I know there's a market aspect, but there might
19 be a reliability requirement aspect. Something I know
20 Gerry's hinted at for years, but I mean Aliso Canyon brings
21 it, at least, into the front of topic. Excuse me; it was
22 Secretary Hoffman who mentioned Aliso Canyon.

23 So I'm interested in if anyone thinks that our
24 planning standards or something else should be changed
25 because of the fuel situation we have now.

1 MR. CAULEY: I could take a first stab. So
2 we're doing a special assessment project right now and I
3 expect the report to be out -- I don't know the exact date,
4 but 30 to 60 days its coming. And it's looking at critical
5 points in that dependence between gas and electric where
6 pipeline failures or we've gone around evaluated the
7 different storage sites and looked at the potential impact
8 of loss of key facilities. And philosophically, putting
9 aside the question of a standard, it would be clear from
10 this report, I believe, that you should be planning for the
11 loss of a most critical, a most impactful facility,
12 including if it's on a gas system

13 And so I think the answer is it may point to --
14 once we understand the issue, understand how significant it
15 is, how many places does it occur; but it would be good
16 practice to plan for that loss because you never know it
17 won't happen.

18 I would go further and probably go out a little
19 bit of a limb, but I think there's a general challenge that
20 we need to step back at a policy level and look at the
21 reliability, dependability, and security of the fuel
22 delivery system on gas, given how dependent we are in so
23 many regions. And I know we don't have any jurisdiction at
24 all in the gas arena, but I know the Commission does.

25 CHAIRMAN LA FLEUR: Well, we don't have the

1 reliability jurisdiction over gas, but we have reliability
2 jurisdiction over the people who burn the gas.

3 MR. CAULEY: Right. I'm not a lawyer, so I'm
4 just making loose statements, as an engineer, but I am
5 concerned that you have certain reliability expectations and
6 standards on the electric system and what I consider a
7 foundational piece, which is the fuel delivery doesn't have
8 equivalent standards or expectations of dependency and
9 reliability and security. I don't have a specific proposal,
10 but I think that that's there to be looked, at in addition
11 to your question, which is do we need to look at our
12 planning and when it's one is now loss of a specific
13 critical gas facility, which I agree with.

14 CHAIRMAN LA FLEUR: Thank you. Pat.

15 MS. HOFFMAN: So I look at it that the important
16 thing that the regions and the grid operators need to do is
17 an assessment of the fuel risks to grid operations. And so
18 as looking at the level of regional diversity and to the
19 extent possible how dependent is a region on one fuel source
20 and from that perspective so that it gets to the point that
21 Gerry brought up of really what is the risk to the
22 reliability of the electric system.

23 But at the end of the day, I know the market
24 operators are really looking at availability and saying that
25 there has to be redundancy in fuel supplies and putting the

1 onus on the generators to make sure that they have fuel
2 availability as part of providing electrons and electricity
3 to the system and reliability to the system. So I think it
4 can come down to that point of handling it from a redundancy
5 point of view, but also, I think it's important to have a
6 risk assessment done.

7 CHAIRMAN LA FLEUR: Thank you.

8 And I'll ask one more question and that's on
9 data. I think it was John Hughes who talked about metrics,
10 about the standards, and which have impact.

11 Reading the State of Reliability Report, it's
12 obvious we have more and more data on elements of
13 reliability, but the grid is yielding more data all the time
14 with the PMUs and with the analytics that we're capable of
15 with CADs and GADs and so forth. Is there more that we can
16 do in the area of leading indicators of reliability issues
17 with the new data that we have and should we be expanding
18 our data collection? It's always a question of how do you
19 balance using the data to get the lessons from it with
20 protecting it because of the security, but it seems like its
21 more of a data analytics world and I wonder if we're doing
22 everything we can in this area or there's something the
23 Commission should be doing.

24 MS. HOFFMAN: So I think data provides a great
25 opportunity for improving the operations of the grid,

1 especially in assess management. I think from my
2 perspective as you look into where some of the leading
3 indicators are goes after, say, some of the data that's been
4 helpful for transformer, looking at predictive failure and
5 assessment management, so I think that's one are of
6 opportunity.

7 I am concerned about security of the data, but
8 the value of machine learning and being able to get more
9 predictive in nature and looking probabilistic assessment I
10 think really will provide value for the grid.

11 MR. CAULEY: So I think our ability to collect
12 data from industry and their willingness to provide it to us
13 and to be able to turn it into meaningful results and
14 analysis is really one of the success stories we've had over
15 the last five, six, seven years and I think it will
16 continue. And it's really the foundation to everything
17 we're doing. There are some areas where I believe there's
18 probably going to need more, but we do want to be judicious
19 with the burden and the security issues with having that
20 data.

21 One thing I know we do need to get is some
22 better clarity and granularity around reporting of security
23 incidents because we have OA417 and we have EOP004 for
24 reporting of incidents, sabotage reporting, and so on, but
25 it's very sparse. And so the question is working with

1 industry what makes sense to create a sufficient set of data
2 to analyze are the threats getting worse, are things
3 happening more frequently, are the entities getting into our
4 systems, deeper into our systems.

5 I also believe that we don't have -- NERC has
6 really focused I think this coming year to come up with a
7 better set of security metrics, understand security risks.
8 The idea of, well, no cyber attack is going to cause a
9 blackout. Well, that doesn't mean there won't be one
10 tomorrow, so how do you measure risks, but you need data on
11 the front end to make that happen.

12 Just to follow up on Pat's comment, I believe
13 getting -- sort of corralling the value of PMU data for
14 metrics is probably on our horizon in terms of understanding
15 behavior system. I think you can see the behavior of the
16 renewable inverters-based resources and distributed energy
17 resources. The granularity of the PMU data is so fine that
18 you'll be able to see the nuances of those measurements and
19 try to get some leading indicators of problems I think
20 through that approach.

21 CHAIRMAN LA FLEUR: Thank you. I appreciate
22 your comment on burden and I hope we're looking at a future
23 where we pass fewer rules where some busy person in a
24 control room has to fill out one more report because I've
25 been there and I know some times where that priority comes

1 in versus keeping the lights on and more situations where
2 the actual equipment or the grid is giving us data without
3 human intervention.

4 I guess let my colleague. Maybe she'll make
5 some of the people I haven't bothered work. Thank you.

6 COMMISSIONER HONORABLE: Thank you, Cheryl.
7 Good morning everyone and thank you for teeing up a really
8 robust discussion. I'm like, Cheryl, I don't really know
9 where to start, but I will pick up on the Aliso Canyon topic
10 because I think this is an excellent example of the ability
11 that we all have to play a role. And I think Secretary
12 Hoffman mentioned the federal and regional responsibilities,
13 but I also wanted to tee up because Chairman Haque, Chairman
14 Twitty -- I like calling you that Chairman Twitty -- and
15 John Hughes have also touched on this important need to
16 coordinate the federal and state and local level -- that's a
17 nod to folks, the LPPC folks -- but also, making sure we're
18 playing well with our state colleagues and coordinating. I
19 think there's an important role to play.

20 So while we've been very focused certainly on
21 watching the Aliso Canyon Incident, I want to commend the
22 Taskforce for working diligently on that, certainly, DOE for
23 watching it and NERC's role as well. There's clearly a role
24 for state regulators to play here and I think this Chairman
25 Haque's point as well that states have lead in this area.

1 And this is an example of the importance of our state
2 colleagues appreciating this issue we got passed last
3 summer, thankfully. But according to the summer
4 assessment, we have to be very cautious going forward, so I
5 wanted to ask the Secretary and any others if they wanted to
6 comment about either Aliso in particular or how we can do a
7 better job of being mindful of our state colleagues' role,
8 but also making room for them to continue leading here was
9 well.

10 MS. HOFFMAN: So a couple of comments that I'd
11 like to make as I was thinking about this and that there has
12 to be coordination. As the states think about their
13 investment strategy, whether it's generation, whether it's
14 storage, I think there has to be a close coordination with
15 the reliability coordinators in doing a system evaluation so
16 we can stay ahead of the game of what potential investments
17 are required, whether you take the polar vortex, whether
18 take Aliso Canyon, whether you take the Northeast and the
19 gas infrastructure issues.

20 I think from my perspective the interdependency
21 play is going to be let's take a hard look at the policies,
22 the infrastructures, whether it's battery storage or gas
23 storage. There is some level of storage that is required on
24 the system and think about what are the cost-effective
25 solutions and what really can be optimized to the benefit of

1 the system. So having that close coordination with the
2 states is absolutely critical.

3 MR. HAGUE: Well, thank you for the question
4 Commissioner. This question gets more complicated when you
5 start thinking about states that are in organized markets
6 and states that are not. So it creates one grand,
7 circuitous world of confusion when you start thinking about
8 the State Subsidy Tech Conference that you held and it is an
9 extraordinarily challenging issue.

10 I guess without getting to prescriptive, I have
11 always thought that reliability should be the tie that
12 binds. So in taking my NARUC hat off and putting my Ohio
13 hat on, we have been through the arch of our now famous or
14 infamous PPA cases. There were a tremendous number of
15 policy considerations that were espoused in those cases. I
16 think, though, that what has been missing from the dialogue
17 broadly is the true on sort of reliability concept.

18 And so because of the market issue, the state
19 that resides in an organized market or your typical
20 cost-of-service state, I don't know that there's a silver
21 bullet to this answer of utilizing whatever comes out of a
22 reliability study to socialize that then across states and
23 have some kind of uniform response, but at the very least,
24 from a policy perspective, again, I do think that we are all
25 on the same page with respect to that particular issue, so I

1 do think it can be helpful.

2 And I think that -- look, so I've been doing
3 this now -- this is my fourth year doing this.

4 COMMISSIONER HONORABLE: Thank you, by the way,
5 for doing it.

6 MR. HAQUE: Thank you. Again, thank you, I
7 think to that, but thank you for the opportunity. And our
8 state engagement -- the arch of state engagement has
9 dramatically increased over this just four years.
10 Initially, it was just about cost and now we're talking
11 about this concept of base-load resources. We've been
12 talking about that for a few years now and now we're talking
13 about a totally changing even state rubric with all of the
14 grid mode endeavors that you're seeing and how that will
15 interact with the Bulk Power System. So I think you're
16 right and I think we all recognize that. I think
17 reliability is the tie that binds, but because of especially
18 on the bulk side the markets issue it's an extraordinarily
19 challenging issue, but at least on the distributed
20 resources side I think there's some real opportunity there.

21 COMMISSIONER HONORABLE: Thank you. Anyone
22 else, Chairman Twitty?

23 MR. TWITTY: Well, Commissioner, I appreciate
24 you particularly pointing out that there is local authority
25 as well. People used to say to me, well, you're not

1 regulated by anybody. No, you're regulated a local city
2 council or a local board of public utilities or public works
3 or whatever it's called. And I think the point I would
4 make, and it also goes back to the data question a little
5 bit, and that is just a real focus on the coordination of
6 information flow.

7 Think about if there was an event on the system
8 today you could have three or four or five different
9 agencies requesting information and if you only have to
10 provide it once that's a heck of a lot better than three or
11 four or five. And the same thing about this, just remember
12 that there are local regulators. Steve and I would both we
13 would agree with that, whether it's LPPC or TAPS.

14 Those folks, again, they're the people, the
15 store or church next Sunday that are going to button-hole
16 you and wonder what in the world happened. And like Mr.
17 O'Neil said once, you know the government that's closest to
18 the people is the best, not to say bad things about FERC or
19 NERC, but it is true.

20 COMMISSIONER HONORABLE: Thank you.

21 I wanted to turn now to just acknowledge the
22 fine work of NERC and all of the stakeholders who
23 participated in the supply chain matter. I wanted to say
24 thank you for your effort. I know you worked so hard to get
25 across that line, but I was very pleased to hear the report

1 that it got through in the second balloting.

2 And Gerry, I wanted to turn and ask you a couple
3 of questions. One is to also commend -- I teed it up in my
4 opening remarks -- the work of the entire sector on focusing
5 on MISOPS, in particular. And it was really a beautiful
6 thing to watch, to participate with you and your colleagues
7 at the MRC and at the Board level, to engage with
8 regionally, to even sit in, in an RTO meeting. I happened
9 to be in Little Rock at the SPP meeting and heard a very
10 robust discussion about the state of play with regard to
11 MISOPS and what a number of folks across the industry sector
12 were doing to focus on that and we've seen great results.

13 I also noted in your report that human error, of
14 course, continues to be a challenge, to err is human, and I
15 wanted to ask you what are the lessons that you've learned
16 with your very deliberate approach to tackling MISOPS that
17 you can also employ with human error matters?

18 MR. CAULEY: That's a great question. I
19 appreciate the feedback. You know I think the story that
20 we're still working on and it's unfolding and really miss
21 operations is really a great example of the ERO should work,
22 which is data points to a recurring theme of harms being
23 done, outages being bigger than it should, load shedding and
24 so on, and we say why is it telling us that. And the volume
25 of data that we can see across North America really I think

1 is helpful compared to what each company could see because
2 the company's been doing really miss operation analysis for
3 decades, way before we were doing this.

4 But to be able to see the big picture and to see
5 the pattern at a big level is really helpful. The solutions
6 phrase has really been interesting because we've involved
7 the North American Transmission Forum. Each of the eight
8 regions has their own individual program, so it kind of gets
9 customized and distributed out to get the work done. We're
10 not pulling levers and managing the work.

11 The interesting piece is there are some entities
12 that have rates high as 19, 18, 20 percent miss operations
13 and some as low as 4 percent. Some of those are for
14 reasonable, physical reasons why because the system design
15 is different and different geographic areas, but it tells us
16 that we can focus on particular regions or we can focus on
17 particular entities and drive the performance to continue to
18 be a lot better.

19 I think we can repeat that in the human error
20 field with one concern, so that the solutions in relay miss
21 operation space are very technical, so there's a series of
22 loose connections, polarity reversed, the communications are
23 not correct to coordinate between two relays that need to
24 talk to each other. So the solution space in relays tend to
25 be technical, mechanical, objective things you can do. And

1 once you fix them, they're kind of fixed. But if you can
2 imagine now where I'm going with this, it's going to be a
3 lot more different things can happen. You don't just fix
4 one thing one time, so we're working, once again, with the
5 Forum. We've done a joint workshop with them. We're doing
6 peer reviews of best practices in human performance, but
7 it's much more of a morphs transition. It's not fix one
8 thing at a time. It's going to be building awareness,
9 building best practices, building controls around that and I
10 think we'll see a similar trend in human performance. It
11 has gotten better in terms of impacts and I think we'll
12 start seeing a sort of level of excellence in human
13 performance in terms of error rates we'll be seeing in the
14 coming years.

15 COMMISSIONER HONORABLE: Thank you. And I want
16 to thank you and your colleagues and all stakeholders in
17 advance because we know it's something that will occur, but
18 I appreciate the focus on it because I'm certain there are
19 certain areas that are common -- you know common human
20 errors that can be focused on and I appreciate that you have
21 already seen that and seen ways to improve it because the
22 system is benefitting from it.

23 I wanted to touch on the Blue Cut wildfire
24 incident because you mentioned the tripping of the two 500kv
25 lines in the fire area and the loss of more than a thousand

1 megawatts across multiple areas and I wanted to ask you what
2 did you learn from that and what can we employ going forward
3 to be responsive to a situation such as that. And I'll also
4 give Cheryl an opportunity if I didn't quite ask her
5 question to jump in.

6 MR. CAULEY: I think we learned at different
7 levels. You know at the highest level in terms of ERO role,
8 once again, going back to the data having data and having --
9 this was not really a reportable event. It didn't actually
10 make the news.

11 COMMISSIONER HONORABLE: And if I could say,
12 that's why I was particularly interested in it, the fact
13 that it wasn't a reportable incident.

14 MR. CAULEY: But we saw a series of frequency
15 anomalies that day and we looked at why did that happen, but
16 we had the data and we were able to work with Cal ISO and
17 Southern Cal ISO and others to like let's investigate this
18 even though it doesn't hit the criteria to require an
19 investigation, but it's really interesting, and so we were
20 able to do that, so one lesson is keep doing this.

21 I think with the introduction of DERs and
22 renewables and inverters and new technology keep looking for
23 anomalies that we don't understand why they're happening,
24 keep digging.

25 I think we learned, as I mentioned, that the

1 standards talk about ride-through for generation. Once we
2 investigated this event with the vendors, their
3 understanding of ride-through had nothing to do with our
4 understanding of ride-through. Our understanding of
5 ride-through is you keep producing megawatts because if
6 something's happening on the system around you, you don't
7 want to like drop your production and increase through a
8 cascade into further frequency. They thought ride-through
9 was just shut off the power, but hang on there so they're
10 connected, but they're not actually producing anything.

11 And we also learned that introduction of time
12 horizons, and this is not just in wind and solar inverters,
13 but this is in distributed energy resources and new relays
14 that are coming in that a lot of this equipment is operating
15 in microseconds and they're deciding and acting and doing
16 things before the old, clunky, moving things have time to
17 move or do anything, so that creates a whole new field of
18 reliability concerns is how do we coordinate. The solution
19 in this case is that the manufacturers are telling us,
20 well, we can slow that down. We just didn't know you needed
21 that, so we can put a five cycle delay or a second delay on
22 something and let the system do what it's supposed to do
23 before we decide what to do.

24 So I think there's a lot to learn and I think
25 it's a field that's going to be at the forefront of

1 reliability for a long time.

2 CHAIRMAN LA FLEUR: I guess my question, and it
3 was really a question that was provided by David Ortiz. I
4 don't think I'm smart enough to think it. Is this an issue
5 that's endemic to inverters generally that we need to watch
6 for other places or was it just kind of growing pains on the
7 assumptions and calculation frequency? So I mean how much
8 do you think we need to look across to other situations
9 versus just something that would sit there.

10 MR. CAULEY: Well, I think this is everywhere.
11 This is basically, as we were thinking our strategy on how
12 do we deal with new technologies, one thing we've realized
13 is there's a whole lot of players now involved installing
14 equipment on the system who probably many of them still
15 don't know who NERC is, but certainly, they didn't know who
16 NERC was a year or two ago. But they're putting equipment
17 on a system at high volumes of resources and so they don't
18 understand what the terminology means. They don't
19 understand how we measure frequency and voltage and what the
20 words in the standards mean because we do have a clear
21 blueprint in the standards for how generators should behave
22 when they're connected to the system.

23 Now we're miscommunicating because their
24 understanding is at a level of electronics and the speed of
25 their systems and this is a different level. So I think

1 it's widespread.

2 One of the things I wanted to do is make sure we
3 get this quick enough that we don't get into regrettable
4 situations in terms of installation of new facilities. And
5 we're still investigating, but the vendors have told us that
6 40 percent of the inverters that were involved in the Blue
7 Cut incident cannot be corrected for the voltage problem.
8 So that means they're producers. They can produce
9 megawatts. They can be there. The can be planned for, but
10 if there's a disturbance you have to assume that 40 percent
11 of that generation will leave.

12 So what we want to do is get the work done
13 urgently enough that we don't have any more facilities
14 installed that don't have the capability to operate and it's
15 expensive to replace them once they're in.

16 CHAIRMAN LA FLEUR: Needless to say, when I've
17 talked to solar industry groups and wind industry groups, I
18 frequently urge them to get more involved with NERC, so I'll
19 use the bully pulpit here. It's really essential.

20 COMMISSIONER HONORABLE: I, too, think Gerry
21 your comments speak to not only flexibility, but
22 inoperability and just reminds me of when I was chairman of
23 Arkansas Public Service Commission and we would have a mayor
24 who was gung-ho about putting a wind tower up, but had no
25 clue of -- some vendor came and said, no, put the wind power

1 up and then go to the Commission. You know he didn't know
2 he needed to come to the Commission and the fact that he
3 didn't come first caused a whole world of problems for him.

4 And to your point, our ability to master how
5 we're working with integrating these inverters in such an
6 credibly wonderful time with greater amounts of renewables,
7 but our ability to harness that in a way that still gives us
8 -- I think Pat spoke to being nimble and flexible -- still
9 allowing us to do that. So thank you. I wanted to ask your
10 lessons learned.

11 I wanted to turn to both, Charles King and Mr.
12 Wright, because you both, in your comments, teed up a
13 discussion I wanted to have. One is I too want to commend
14 the industry broadly, and when I say "industry," all
15 stakeholders, but yes, industry meaning EEI as well for your
16 leadership in the ways in which you continue to work.

17 I agree with you that, yes, we need standards,
18 but that there are number of ways in which industry,
19 collectively, the sector, is working in ways -- I love the
20 way you said it -- to supplement this important work. So
21 it's a great time for us to reflect upon now 10 years of
22 mandatory reliability standards, but it's great to talk
23 about the ESCC work, the work happening at the ISAC with the
24 ISAC effort, with fusion centers, with all of the ways in
25 which we're working together. And I'm very pleased that

1 you mentioned mutual assistance, the spare transformer
2 efforts. So I wanted to take this moment to thank you and
3 your colleagues at EEI for your leadership there.

4 Mr. Wright, you raised an interesting point
5 about the fact that, in your opinion -- and I wanted to ask
6 you to talk more about this. You think that we may need to
7 create more incentive or did I write "rewards" or did you
8 say "rewards" for compliance? This is an interesting
9 discussion in my mind because I have a 16-year-old and she
10 gets good grades, but I think she could get better grade.
11 So do I reward her for -- you know where I'm headed with
12 this -- for getting the grades she should be getting anyway.

13 MR. WRIGHT: I have a 17-year-old son, so I'm
14 right with you on this one.

15 COMMISSIONER HONORABLE: So we're speaking the
16 same language. I want to ask you to elaborate on that
17 because I think even in the context of our work here at FERC
18 we have heard some stakeholders saying this is the work we
19 should be doing. This is our job. But I want you to talk
20 more about using this carrot approach versus the stick
21 approach. I think for us in the U.S., I think we've seen it
22 work particularly well, so I wanted to invite you to talk
23 more about that.

24 MR. WRIGHT: Well, I think this is a little bit
25 of the conversation we were having earlier too. I want to

1 spend some more time with Gerry because I heard him say that
2 there is a way to work with the regions that maybe has not
3 been fully exercised yet and I'd like to understand that
4 better because I think one of the things that has happened
5 is the whole commitment to the RAI Program has caused
6 utilities to go down this path of doing really elaborate
7 inherent risk assessment and internal controls evaluations
8 work. And I just say from my experience that has been
9 really good work. We've learned a lot of things that we
10 didn't know about the way our systems operate.

11 We've learned about the way our system impacts
12 the Bulk-Electric System that we didn't know and probably
13 should've known, so there's been some really valuable things
14 that have happened there. There should be an opportunity as
15 well to be able to learn there are places on our system that
16 have a big impact and we need to really be focused and there
17 places on our system that don't have a big impact how can
18 address that in terms of trying to wring some efficiencies
19 out the system. I think that's the challenge that we face.

20 COMMISSIONER HONORABLE: And really take a
21 risk-based approach.

22 MR. WRIGHT: That's right. So that had been, at
23 least from my understanding when we first started down this
24 path three, four years, were I said we were going to go out
25 and we were going to learn a bunch about where it is that

1 individual systems and eve facilities within systems were
2 really critical to the system and were they were not and
3 that we would be able to advance our protection of the
4 system through that knowledge that we would gain.

5 And so we're now to that point where we've
6 gained a lot of knowledge. Now the question is how are we
7 going to exercise that knowledge to be able to take
8 advantage of it. And again, we're spending a lot of money
9 on this. I think it's a good thing because we're improving
10 reliability, but if we can find efficiencies, we should go
11 find them and try to get them.

12 COMMISSIONER HONORABLE: Thank you. Any others
13 want to comment on that point?

14 I, too, appreciate Mr. Wright that you mentioned
15 opportunity at the regional level.

16 To Chairman Hague's point, I think that could
17 open up another level of complexity. I think we continue to
18 have discussions about the best regional approaches and ways
19 to get regional efficiency in the context of enforcing
20 mandatory reliability standards, but also harnessing greater
21 efficiencies in our day-to-day reliability work. So thank
22 you for mentioning that and I look forward to greater
23 discussion about the best ways to do that going forward.
24 And thank you all for appearing here today.

25 MR. BARDEE: Thank you, Commissioner. I think

1 staff we'll keep our questions to a minimum so that we don't
2 get too far off schedule. I'll just ask one at this point
3 and it's actually something that you might be able to
4 address, Pat. Others are welcome to also, but it goes to
5 the supply chain issue.

6 As you know, we required NERC to develop a
7 standard. There's a standard in the process. It just
8 passed its second ballot. Presumably, it'll come to us
9 sometime later this year. And if we ever a quorum again,
10 we'll do something with it, but at best, that is a solution
11 that deals with a small part of a very big supply chain. It
12 may reduce the risk for the entities subject to it that
13 apply it, but the supply chain itself involve so many
14 sectors and so many other aspects that are far beyond our
15 role and I was wondering if there are efforts or things that
16 DUE in conjunction with perhaps other parts of the
17 government would be able to or is considering doing that
18 could address parts that we can't.

19 MS. HOFFMAN: So thank you. That's a really
20 important question and it's quite a complicated subject, as
21 you talked about supply chain encompasses more of the
22 subcomponents and parts and pieces than what was directly
23 reflected upon in the standard. So some of the things that
24 the industry should think about is trust in manufacturing
25 and looking into assessment of the manufacturing process.

1 One of the things that the Department's looking
2 at and considering is how do we further do testing and
3 system testing of supply chain components so that we
4 actually can have feedback to the industry from a risk
5 assessment point of view. At the end of the day, it's going
6 to have to be a collaborative process where industry
7 understands the risks that are being posed by the supply
8 chain components and their subcomponents, but also it has to
9 be some disclosure of where some of those vulnerabilities
10 may be. So we're going to look at some system testing, but
11 we're also thinking about how do we learn some lessons from
12 DoD from a trust in manufacturing point of view.

13 MR. HEGERLE: So let's try to tie together
14 several things. I liked Gerry statement on fearlessly
15 focusing on preventing the next outage. And Acting Chairman
16 LaFleur mentioned data and metrics and others of you of the
17 panelists mentioned that as well and Commissioner Honorable
18 mentioned the learning that we could get from the MISOPS as
19 applied to human error.

20 I was wondering about how well we can look at
21 the interdependencies of these various data pieces to do
22 that prevention in that when we look at averages we don't
23 end up necessarily seeing the picture in a specific region
24 or with specific entities that are close together and many
25 of the outages that we've seen like the one five years ago

1 out West was one where one small mistake preventable was
2 made by one entity, another was set up differently and a
3 third and we have a problem. Is there a way? Can we, do we
4 look at the interdependencies of those various pieces at a
5 more macro -- not an individual entity, but a smaller,
6 maybe a BA-area way of thinking about that or identifying
7 those risks so that we can prevent, as Gerry was suggesting,
8 those bigger events?

9 MR. CAULEY: Well, if I could call up Dr. James
10 Merlow from the audience here, he could probably help me
11 answer this better, but we are not focused simply on using
12 averages or broad pictures, but we have some very good PhDs
13 and statisticians on our staff that are looking for the
14 patterns that are hidden in the noise and some of it I would
15 call it sort of transactional or sort event drive. So you
16 look for an event and you try to figure everything out and
17 others are just sort a broad collection of data over time.

18 I think the one opportunity we could probably
19 explore a little bit more is the interdependencies between
20 the datasets. Now we do that to some extent now like if
21 there's an event we're looking at the transmission
22 performance through the TAPS database and we're looking at
23 the generator performance through the gas database and
24 saying well why did they all combine to leave. So we are
25 doing some cross-dependency, but I think the error you're

1 talking about I think is a new opportunity maybe. Even when
2 there's no event and it's a sort of a blue sky day, are
3 there any correlations between data and across the
4 databases. I think that's an interesting question. We'll
5 talk about it when we get home.

6 MS. HOFFMAN: If I may add one thing. I think
7 the value of the PMU data is a dataset that's consistent
8 across the whole industry that provides a platform where
9 grid operators can look at consistent tools and actually be
10 able to do forensics and analysis and asset management. So
11 moving forward, we need to have a similar set of platforms
12 of data, whether it's sensor-based data, the distribution
13 system that the industry writ large can build upon for
14 visibility and really speed up some of the understandings of
15 what's happening and that has to be paired appropriately
16 with the data that's feed into modeling and analysis of the
17 system

18 MR. BARDEE: So with that, I think we'll
19 conclude our first panel. I'd like to thank all of you for
20 your time today and we really appreciate it.

21 MR. WRIGHT: Mr. Bardee, can I make just one
22 quick comment, if I could? I'd appreciate it.

23 I did participate in the first one of these
24 conferences way back in -- I think it was 2010. And there
25 was a lot of tension in the industry at that point and there

1 was one of the reasons for this conference. And I just want
2 to say back I think at the second conference I made a
3 recommendation that this be formalized and happen more
4 frequently and I want to say right now that that was
5 unnecessary. And the reason it as unnecessary is because of
6 the way folks have chosen to participate in processes since
7 then. So Gerry has run his organization in a very
8 transparent way that made it not necessary to do this.

9 The FERC staff has been much more open, I think,
10 in terms of engaging with the industry and the Commissioners
11 have gone to the MRC meetings. So for really good reasons
12 collaboration has occurred and I just want to say that has
13 made this law work a lot better and I appreciate it.

14 MR. BARDEE: Thank you. Thanks again.

15 So if our next set of panelists could please
16 come to the table.

17 Alright, we're going to start our second panel
18 now.

19 COMMISSIONER HONORABLE: Mr. Bardee, if you
20 don't mind, I'm going to raise my voice a little bit.
21 Ladies and gentlemen, I love that you're enjoying this so
22 much, but we are going to proceed to our next panel. Thank
23 you so much for your attention.

24 MR. BARDEE: That's why she's a Commissioner and
25 I'm just a staffer. So let's start our second panel here

1 with speakers from other parts of the world, not the United
2 States and it's an opportunity for us to hear what's
3 happening in other countries, North America and Europe, and
4 to learn what we can that may help us and share our
5 experiences. So I will start by introducing Mr. Brian
6 Hewson from the Ontario Energy Board.

7 STATEMENT OF MR. BRIAN HEWSON

8 MR. HEWSON: Acting Chair LaFleur, Commissioner
9 Honorable, staff, and my fellow panelists, good morning and
10 thank you for the opportunity to come and speak today. My
11 name is Brian Hewson. I am the Vice President of Consumer
12 Protection and Industry Performance at the Ontario Energy
13 Board, which is the gas and electric regulator in the
14 province of Ontario in Canada.

15 And while I will touch briefly on some matters
16 of all of Canada, my remarks will generally focus largely on
17 Ontario because that is where I'm most knowledgeable and
18 most experienced. And I think the experience that we've had
19 in Ontario will touch very closely on a number of the
20 questions that were asked in your agenda.

21 Canada and the U.S. are a highly integrated
22 electricity network system. As you will know I'm sure,
23 there are 34 interconnections between U.S. states and
24 Canada. There's also 33 major inter-prevental connections,
25 which makes inter-ties a very important part of the

1 operation of our grid in Ontario and a very important part
2 of the operation any considerations of the OEB.

3 As you know, unlike FERC, in Canada each of the
4 provinces and territories are responsible for reliability
5 oversight of the transmission network. You know following
6 the 2003 blackout, the federal and provincial ministers of
7 energy got together and decided that there should be a close
8 cooperation and coordination across the country and they've
9 established a working group, which we are a fully active
10 member of, that coordinates and discusses both activities in
11 relation to NERC and activities across the country in terms
12 of coordination and ensuring reliability.

13 Each Canadian jurisdiction has implemented its
14 own approach to ensuring that reliability of the local
15 electricity system is taken care of. Each enforces NERC
16 compliance through a variety of models. In Ontario, I'll
17 speak to specifically, our independent electricity system
18 operator is the designated entity that's in charge of
19 ensuring reliability of the system and monitors and enforces
20 the reliability standards enforced by NERC with the Ontario
21 Energy Board as its backdoor or backstop, I should say. We
22 are there to make sure that if someone needs to have further
23 sanctions against them, we are in the position to do that.

24 You know your questions really focused us on the
25 issue of renewable and distributed generator and how Canada,

1 and in my case, Ontario is managing the evolutionary change.
2 What I can tell you is that the provinces of Canada are
3 heavily involved in renewable energy. As you will have seen
4 in my notes that I've provided, roughly, two-thirds of the
5 electricity that is provided in Canada is produced through
6 renewable sources. And that includes the provinces of
7 Newfoundland, Quebec, BC, Manitoba, and Yukon where they
8 rely on almost 95 percent of their electricity is produced
9 through hydroelectric facilities.

10 Ontario -- now I'm going to focus a little more
11 closely on Ontario -- has gone through a significant supply
12 change over the last 10 years. By 2025, our IESO is
13 forecasting we will have renewable resources connected at
14 both the transmission distribution level that nearly make up
15 50 percent of installed generation. The bulk of the rest of
16 our generation is nuclear and we are in the process of a
17 major refurbishment of all of our existing nuclear units to
18 be able to continue their operation.

19 We did change and increased the renewables as
20 part of a government desire to eliminate coal as part of the
21 Ontario supply mix. While we were eliminating coal, we
22 recognized that we were bring on intermittent renewables and
23 that that required changes to our market rules to make sure
24 that intermittents were playing their proper role within the
25 IESO grid and IESO markets as well as investments in

1 upgrades to both transmission systems and distribution
2 systems.

3 At this point much of Ontario is looking at
4 approximately by the end of this year having over 3600
5 megawatts of distributed generation. That compares to the
6 mid-2000 when we had under 100 megawatts of generation that
7 was connected to the distributors. That distributed
8 generation is causing many changes in our system. We have
9 facilitated the change through rules to require
10 nondiscriminatory access by distributed generation. We've
11 imposed contract requirements that ensure that connection
12 processes are timely, but respect reliability and security
13 requirements. We've also implemented changes to rules to
14 facility good public policy.

15 On the gas side, I did hear mentioned we have
16 recognized the importance because of the increase in gas
17 generation to be assured that there is good coordination, so
18 the IESO has been required to develop a coordination
19 taskforce with the gas distributors and gas generators. As
20 well, they have implemented a new grid, LDC, Local
21 Distribution Coordination, Committee to ensure that there is
22 greater task connection and data sharing across the two
23 entities.

24 They've also focused on frequency regulation,
25 voltage control, and flexibility increases.

1 In closing, I'd like to say that the provinces
2 and territories in Canada will maintain our collective and
3 collaborative efforts to ensure that successful outcomes
4 continue to be achieved as the supply situation changes and
5 evolves. As the first jurisdiction in North America to
6 implement mandatory NERC standards, Ontario plans to
7 continue to play a key and leading role in that
8 collaborative effort.

9 I thank the Commission and look forward to any
10 questions.

11 MR. BARDEE: Thank you, Mr. Hewson. Next, we
12 have Commissioner Madrigal from CRE in Mexico.

13 STATEMENT OF COMMISSIONER MARCELION MADRIGAL

14 COMMISSIONER MADRIGAL: Thank you very much,
15 Chairman LaFleur, Commissioner Honorable, colleagues, we
16 think a lot of your invitation to speak on behalf of the
17 Regulatory Commission in Mexico. We believe sharing
18 experiences is very important. WE have learned a lot from
19 our neighbors in the process of implementing this tremendous
20 energy reform and I will speak in my remarks about the
21 reliability issues with regard to integration of renewable,
22 distributed generation and some of the issues that we are
23 seeing in the gas markets, so I really thank you for the
24 opportunity to be here.

25 Most of my comments will be, of course, personal

1 comments. When there are Commission decisions, I will
2 clearly state those aspects. So with perfect ongoing energy
3 reform in Mexico, renewables will increase up to 35 percent
4 by 2024. Right now clean energy sources in Mexico are about
5 20 percent. In our legislation, clean also means large
6 hydro, including nuclear. We have a large nuclear power
7 station. So out of those roughly 40 percent of -- renewable
8 resources, mainly, wind and solar, but with the recent
9 success of the energy options, we may reach 10 percent of
10 whatever renewable resources just in a question of one or
11 two years.

12 Why? Because we have contracted roughly 6
13 g-watts of new capacity to be added in the next two years,
14 mainly, solar because of the attractive prices we are
15 getting in the market. So what we have been contracted
16 recently is more than what the system has added in the past
17 eight to ten years. So we are going to see a very rapid
18 increase of valuable resources in the next two to three
19 years, reaching up to 10 percent of valuable resources.

20 In the distributed generation, solar is growing
21 exponentially. Roughly, 40 years ago, we had zero
22 installations at the distributed level, now we have 29,000
23 installations. Roughly, they make up for 250 megawatts and
24 the size of the installations are growing from an average 5
25 kilowatt to 10 kilowatt. The Commission has issued rules to

1 continue with distributed generation. We have three streams
2 -- net-metering, net-building, and wholesale of distributed
3 generation to the spot market now that it is facilitated
4 with the energy reform. So we continue using net-metering
5 as a way to facilitate consumers engagement with the
6 market. Of course, those mechanisms will evolve. The new
7 rules have a sunset clause. We will review those, but we
8 believe this is an efficient way to make consumers ready to
9 engage in these activities.

10 The grid code level we're incorporating some
11 smart and better features into our distributed generation
12 rules so our control center in Mexico is gaining expediency
13 on managing renewables. As part of the new market rules,
14 all renewable suppliers have to provide forecast to the -- .
15 This is the control center. They improve that forecast.
16 And in the last issue transmission investment plans in assay
17 is really looking ahead on what investments are required for
18 the suns that is more investment in solar power. So
19 proactive planning to make sure transmission reaches those
20 areas in a reliable way.

21 As part of the reform, we create in Mexico it's
22 like FERC, NERC, and the state regulated altogether, so we
23 have the responsibility to look after wholesale, retail
24 rates, reliability at the federal level, so we issued the
25 first independently release grid code, which is more the

1 reliability standards as a whole, include planning,
2 operations, and interconnection requirements. We are using
3 the expedience worldwide in terms of making sure we have
4 technologies that cooperate with the grid. We are in the
5 process of preparing the first annual, independently issued
6 reliability report and we will see what happens and what
7 revisions in the first version of that reliability report.

8 On the gas side, as you know, natural gas is
9 very important for us. We rely a lot of imports from gas
10 from the U.S. as 55 percent of our gas supply comes from the
11 U.S. and makes for probably 40 percent of our electricity
12 mix. We're also in the process of creating a gas market in
13 Mexico. At the Commission last week we basically freed the
14 previously regulated wholesale price of gas. We're in the
15 process of building a market and in that process there is
16 also an independent system operator of the gas market
17 recently created with the energy reform. Its name is
18 Senegas. And Senegas now that our market is evolving in gas
19 it is also in the process of writing the first grid code for
20 operating the gas infrastructure of the country. There we
21 have jurisdiction. We approve the rules for the gas system
22 operator, so we are in the process with technical groups to
23 write that code.

24 Of course, any reliability issues in the gas
25 sector has big implication for the power grid in Mexico and

1 in the expansion plans of the power sector. The Commission
2 has issued comments that this interaction should be looked
3 after more carefully from the planning perspective, so we
4 have been able to manage issues with gas supply mainly
5 through demand production programs and we continue to work
6 in that.

7 Now looking ahead, the Ministry of Energy, which
8 is the policymaker in Mexico, is in the process of drafting
9 a gas security supply policy, looking at possibly storage
10 quotas. We don't have a policy yet. A policy is under
11 consultation for the fuels market and we already have a
12 policy on the security of supply for the power grid.

13 So that was basically my general comments and I
14 look forward for a deeper discussion. Thank you.

15 MR. BARDEE: Thank you, Commission. And
16 finally, we have Klaus Dieter Borchardt, Director for Energy
17 at the European Commission.

18 STATEMENT OF MR. KLAUS DIETER BORCHARDT

19 MR. BORCHARDT: Thank you very much, Mike,
20 Acting Chairman LaFleur, Commissioner Honorable.

21 First of all, I'm very happy to be here again
22 and that FERC has invited me again to this conference here.
23 It's a real honor for me to be allowed to present the
24 European view in this panel.

25 As you all might know that the European energy

1 system is already in the middle of profound change. All had
2 started about 20 years where we had broken up the structures
3 of the more than nationalized energy markets by unbundling
4 the by then integrated, vertically integrated companies and
5 unbundling them from production and supply and transmission.
6 That was the first important step.

7 The second step in these changes were the
8 creation and the development of network codes and
9 guidelines, a bit similar of what I've just heard here from
10 my Mexican colleague. This work we have nine network codes
11 and guidelines. This work has been finished recently in
12 March this year with balancing code in electricity. And now
13 we are just entering in the next phase and this phase has
14 very much to do with what I call flexibility.

15 Why is that so? The European system, of course,
16 is based on a new climate policy to which the European Union
17 is heavily committed. We have initially started by giving
18 ourselves legally-binding targets. They are running of 2020
19 was minus 20 percent CO2 emissions, 20 percent share of
20 renewables, and 20 percent energy efficiency. And now
21 within COP21 and Paris Agreement Complex, we have globalize
22 new commitments time horizon 2030, minus 40 percent CO2
23 emissions, at least 27 percent share of renewables in the
24 system, and 30 percent energy efficiency.

25 And when you look at, at least 27 percent, this

1 is necessary in order to make it up to the 40 percent CO2
2 emissions because 60 percent of the emissions are coming
3 from the energy system. And 27 percent means not less than
4 50 percent of the whole electricity consumption use, have to
5 come from renewables and here intermittent renewables, solar
6 and onshore winds, but offshore winds coming very strongly.

7 So this, of course, creates huge challenges for
8 our energy markets, but not only the markets, as I've said,
9 for us the drivers for reaching our climate goals are energy
10 efficiency, so therefore we have proposed a profound reform
11 here as well, and renewables. And this, of course, now has
12 to relate to the market. And what we can see is that the
13 market, as it stands now, is not up to the challenges.

14 We have not enough flexibility in the market,
15 neither on the generation side, nor on the demand side and
16 this is, of course, of paramount importance because we still
17 firmly believe that a well-functioning market is the most
18 cost efficient way to deliver electricity to the consumers.
19 So therefore we have put forward as a Commission a very
20 comprehensive package, not less than eight legal acts
21 comprising in a clean energy for all European package and
22 it's free of these concerning the market design of the
23 electricity market.

24 And I would like just to focus on the four
25 building blocks of this market design, part of this package.

1 The first building block are the consumers and here we are
2 trying to put the consumers into the center of our energy
3 system and trying to make them participate in the
4 development of our energy system.

5 And I will only highlight two concrete measures
6 here. The first is that we give them an unconditioned
7 right, all consumers, individually or collectively, in
8 energy communities to produce, to store, and to sell energy.
9 The second is the demand side response. Here we foresee two
10 different ways. One is price driven. Here we provide the
11 consumers with dynamic pricing systems and smart meters so
12 that they can adapt a consumption to the price situation and
13 the other is incentive-based. Here we are creating a very
14 robust legal framework for aggregators so that they can
15 enter into the market and do this demand side management.

16 On the wholesale market, of course, it is the
17 integration of the intermittent renewables that we have and
18 here it's very clear that we are moving away from base-load
19 capacity to flexibility. Our intermittent renewables are
20 not reconcilable with purely base-load capacity approach.
21 How do we do that? First, we have to make the market fit
22 for the renewables and that means in the first place we have
23 to reform our balancing markets. We need much, much more
24 balancing reserves and we need, of course, services at very
25 short notice from generators and from the demand side

1 response in order to keep the system balanced in real time.

2 Here we are moving the balancing from the
3 national to the regional level, so the calculation and also
4 the procurement will not be done within the realms of the
5 member state, but in the region. We are also finalizing our
6 work on the short-term markets, which will become even more
7 important in the future. So intra-day and day-ahead market
8 coupling is about to be finalized.

9 Another issue is the pricing system. We are
10 proposing that the price setting should only be done
11 according to the market signals, nothing else. So that
12 means that the old price caps and the regulated prices that
13 you see in a number of systems in different members states
14 -- 17 members states still have regulated prices -- have to
15 be abolished and we've proposed that. We also want to allow
16 prices to rise to the value of lost load in order to also
17 reflect scarcity, so scarcity pricing has to come.

18 Another issue you know in Europe we are
19 following the sonar pricing approach. The configuration of
20 price zones is also an issue. The problem we have today is
21 that the price zones are not designed where the congestion
22 is, but under political considerations and it's political
23 borders that are prevailing over the economic and technical
24 ones and that we are changing as well.

25 We are introducing capacity mechanisms, but only

1 as a last resort instrument, capacity mechanisms that have
2 to be proven its necessity at regional levels. So the
3 adequacy assessment has to be done at regional level, not
4 any more at national level. It has to be cross-border open
5 so that can also companies from -- and other member states
6 can participate in that end. Here we have introduced as
7 well an emission performance standard, 550 grams CO2 per
8 kilowatt hours, which will kick out or not allow in
9 coal-fire power plants and some even gas-powered power
10 plants. That's what we are doing on the market side.

11 On the renewable side, here we are bringing all
12 of the renewable producers under the same obligations as any
13 other generators, so that means balancing responsibilities,
14 no priority dispatch any more. Another very important is
15 because if you have more renewables you have decarbonized
16 generation and you have closed integration. What does that
17 mean for the interoperability? That means that we'll have
18 much, much more interrelated system operations.

19 And in order to cope with that, we want to
20 create the so-called regional operational centers. Here we
21 have an organized cooperation between the respective TSOs in
22 the regions and this ROX as we call them, they will at
23 regional level do the sizing of the balancing reserves.
24 They will do the capacity calculation. They will care about
25 security and safety issues and they will also do their

1 generation adequacy.

2 The third building block is infrastructure. And
3 here I can say that we have a well-working planning system
4 in place with a 10-year network development plan, with a
5 project of common interest, and to connect a newer facility
6 bridging financing gaps, so this is all working well. But
7 what we need more is very strong cooperation between DSOs
8 and TSOs because in Europe the renewables to 60 to 90
9 percent are going directly into the distribution grid and
10 they cannot cope with that alone, so there has to be very,
11 very close planning and managing cooperation between DSOs
12 and TSOs and we are putting the respective rules in place by
13 creating a platform on which DSOs and TSOs have to carry out
14 specific tasks.

15 And then, finally, digitalization as the
16 building block. Here I have to say that our proposal
17 currently in discussions in the Parliament and in the
18 Council of Ministers has only some elements of
19 digitalization like smart grids and smart meters innovation,
20 how to bring more innovation into the energy system. But I
21 think in future, and this is maybe a new challenge, more has
22 to be done. We have to think about to use block chain here
23 in order to make possible to be peer selling. I have heard
24 in the previous discussion. I think you, Acting LaFleur,
25 have mentioned that we need in real time information from

1 the grid, so you could also use this new databases to give
2 us automatically without intervention of human beings this
3 information. This is absolutely important. Also, the
4 automation of the houses so what happens behind the meter
5 will be an issue. We have not addressed it yet.

6 And last, but not least, also cybersecurity. My
7 colleagues have mentioned gas. Gas is not part of this
8 package. We are concentrating on the electricity side. We
9 have a well-functioning gas market. Gas in this new system,
10 in my view, will stay as a backup. We will go out of coal.
11 Some member states will continue with nuclear,
12 traditionally. We might have one member state staying in
13 coal. That's forgiven, but mainly there is gas to stay as a
14 backup.

15 So all-in-all, I must say that we have now a
16 1,000-page legal work on the legislators' table. We hope
17 that we can get it through because without the changes that
18 I have just mentioned briefly it will not be possible to
19 live up to our commitments. Thank you very much.

20 MR. BARDEE: Thank you, Klaus. Commissioner
21 Honorable, questions?

22 COMMISSIONER HONORABLE: Thank you, Mike. And I
23 want to welcome our guests here and please know we are
24 delighted to have you as part of our annual reliability tech
25 conference. For our European colleagues, thank you Dr.

1 Dieter-Borchardt for continuing to grace us with your
2 presence and we've learned so much from one another. And we
3 were very pleased to host the European Commission here at
4 FERC. I believe it was last year and we executed an MOU
5 and we are honored to work with you.

6 And to our North American friends, I want to
7 welcome you back as well, and particularly, you Commissioner
8 Madrigal. And we have enjoyed cheering on our colleagues in
9 Mexico and we talked about this quite a bit in our last
10 annual reliability tech conference. And in fact, we moved
11 this session up because we don't want you to be the end of
12 the day because it's important, our work together. We've
13 really been very pleased with all of the work occurring in
14 Mexico with your ambitious energy reform, with standing up
15 the grid code. We cheered you own when you got through
16 your auctions and now to watch as you are standing up your
17 gas grid code and market. We know that we are
18 interconnected.

19 And I say the same thing to our Canadian
20 colleague. I mentioned to Mr. Hewson before we started that
21 I was just in Vancouver at the CAMPUT meeting. We were
22 there together. And we are also interconnected in our work,
23 both on the electric and gas side. And I'm particularly
24 interested in the work in Canada in developing your carbon
25 pricing scheme. I developed an international mentoring

1 program for women in the regulatory sector. And Rachel
2 Levine is, or was, my mentee, so I learned a great deal, I
3 know you know her, and learned a great deal from you all and
4 I wish you well with that effort.

5 In the interest of time because I had a
6 previously scheduled commitment, I will ask you one question
7 and Chairman LaFleur is kind enough to ask my other
8 question.

9 So I wanted to focus on our North American
10 colleagues first. You both have talked about the dynamic
11 shift in the energy mix and in particular the role that gas
12 is playing. I wanted to ask you to talk with us about your
13 gas/electric coordination efforts.

14 In particular, Mr. Hewson, I know you mentioned
15 the IESO Taskforce and the grid LDC Coordinating Committee.
16 Will you talk a little bit more about that? What is the
17 mission or goal of each? How do they work together? And
18 then I wanted to ask the same thing of the Commissioner?
19 Thank you.

20 MR. HEWSON: Yes, thank you for the question.
21 So first touching on the Gas and Electricity Integration
22 Taskforce, back in about 2005 or so, as we saw the increase
23 in natural gas as part of the electricity infrastructure, we
24 actually held a proceeding to look at how to better ensure
25 there was integration between electricity and the natural

1 gas systems.

2 Out of that, we focused on -- our rule was to
3 focus on issues around transportation, gas rules, and
4 storage gas rules and we implemented an actual first-of-kind
5 in Canada what's called the Storage Access Rule, which
6 defined particular considerations around more intermittent
7 or required services like gas.

8 While we were doing that, our IESO actually
9 decided that it should build a stronger relationship with
10 the gas distributors in Ontario, who operate all of the
11 high-pressure transmission system and deliver gas to all of
12 the different gas generators, so they've had that Taskforce
13 for probably about seven or eight years and it meets on a
14 regular basis. And what they do is they share information
15 between the distributors and the IESO to ensure that IESO is
16 building in any planning issues related to the gas
17 distribution system, upgrades to the transmission system and
18 consideration in terms of its forecast for how the gas
19 generators are going to be used.

20 As we've moved off coal, brought in more
21 renewables, the gas generation system has obviously taken on
22 a much greater role in terms of both reliability and meeting
23 peak demand and so there's been a lot more work there. The
24 LEC grid coordination work is something that the IESO
25 started just a few months -- well, maybe not even a year

1 ago. After having conducted a few pilots with different
2 utilities, learning about distributed generation and other
3 distributed resources like storage were impacting on the
4 distributor in flowing up into the system, they decided that
5 they should actually form a union with the -- we have 70
6 distributors in Ontario, some very small, a few somewhat
7 large, but they organized this so that they could start
8 building a dataset and better mechanism for sharing
9 information back and forth.

10 They have imposed requirements on large
11 renewables that are embedded distributors to actually start
12 providing reporting now and have done so for some time, but
13 they're now looking at the next level down below 500kwu.
14 They're looking to get deeper and deeper into the system.

15 COMMISSIONER MADRIGAL: Thanks Commissioner.
16 Yes, in Mexico, the growing investments in the gas
17 infrastructure are driven by the power utility, so from the
18 beginning there is some sort of coordination.

19 Now formally, at the planning level, we, at the
20 Commission, issue recommendations of both the transmission,
21 the power electricity plan and the gas pipeline plant since
22 we also approve the rates for the nation electricity grid
23 and the national pipeline, so I see the Commission as being
24 the facilitator of making sure the plants are efficient for
25 both systems together. So we have issued comments of making

1 sure gas and electricity coordination is conducted well,
2 especially in some areas where there may be competition
3 between gas pipelines and electricity infrastructure. We
4 have the ability to do that from the Commission.

5 At the operational level, there are actually
6 already some rules to manage gas alerts. You know in Mexico
7 demand still grows 3 to 4 percent and I think this year it's
8 going to be a record hit of almost 5 percent, so our issues
9 with gas were alerts. We consume all the gas we get and
10 four years ago we had some alerts on gas availability or
11 because of pipeline issues, so the power utility was able to
12 manage those alerts by voluntarily demand reductions.

13 Now moving to a market, those rules to manage
14 alerts have to be written in a way that are transparent to
15 everyone, so as part of the market operational rules because
16 we still have the issue of gas availability as some point we
17 may have, so we wrote those rules to manage gas alerts.

18 Going forward, as I said, we're working with the
19 gas system operator now to provide the gas operating rules
20 or the grid code for gas system. So I think our ability to
21 see what is happening in both sectors comes from the fact
22 that both systems are a federal issue in Mexico. We see
23 absolutely everything -- gas, electricity and we have the
24 authority to approve rates and to comment on the investment
25 plan. So the systems are growing and interconnected. There

1 are many things to be done still, but I think it's systems
2 that basically have grown side-by-side and we're just hoping
3 to continue like that.

4 Gas is very important for us, although we don't
5 have a lot of availability issues, in the areas where we
6 have lots of wind power, hydro, and gas combined cycle
7 plants have been key to respond to some variation issues
8 locally because of some transmission congestion, so we see
9 that gas will continue to be a clean, cheap fuel for the
10 transition, but we're actually phasing out the companies,
11 some fossil fuel burning because of gas prices. So it
12 happens to be a win/win. Gas will help with reliability and
13 is helping lowering electricity prices.

14 COMMISSIONER HONORABLE: Thank you both and
15 we'll continue to work well together; I'm certain of that.
16 And please know that you're all welcome here any time.
17 Thank you.

18 CHAIRMAN LA FLEUR: Thank you Collette. I'm
19 going to start by asking Dr. Dieter-Borchardt one of
20 Collette's questions, but I'll make it the first person
21 plural, I think.

22 We, too, think that we need a greater
23 flexibility in our markets to respond to the dynamic shift
24 in energy production and consumption. And her question was
25 what lessons learned can the European Commission share with

1 us as you've focused on this issue of managing the dynamic
2 supply and consumption.

3 And I'm particularly interested -- this me
4 speaking now -- in doing it with very little reliance on
5 natural gas, which seems to be the go-to fuel to balance
6 variable solar generation here in the United States in many
7 places. So I'm very interested in your experience there,
8 and then I'll ask your colleagues if they'd like to chime in
9 anything.

10 DR. DIETER-BORCHARDT: I think to have the full
11 answer you'll have invite me again once we are there because
12 we are now really in the transition towards the system. For
13 the moment, we have a clear base-load driven system that
14 does not differ so much.

15 We have the particularity in Europe that each
16 member state can decide on its own energy mix, which makes
17 our life, when you have to bring all these together at the
18 European, not easier.

19 CHAIRMAN LA FLEUR: We have much the same in
20 many parts of the United States.

21 DR. DIETER-BORCHARDT: So then you know what I'm
22 talking about. But anyway, what we are seeing is clearly
23 that flexibility on the generation side what will that mean.
24 I mean we will clearly go in Europe for very, very high
25 share of renewables and mainly intermittent renewables in

1 future. It will be, as I said, solar, onshore, and more and
2 more coming offshore wind and then you have some niche
3 products. I'm not talking about that.

4 So that will be the mainstream of our
5 generation. And in future it will be, in my view, backed up
6 mainly by very, very flexible power plant, CCGTs. There you
7 are coming back to gas and here you have the combination
8 coming back to the first question. It is not in Europe
9 without criticism because our problem with natural gas is
10 that we are dependent on imports, more than 50 percent we
11 have to import and our suppliers -- not all our suppliers
12 are the most suitable one.

13 I would say for business that is not policy
14 driven or even geopolitically driven, and I think you know
15 what I mean, but in my view, the role, if I come back to the
16 question before how we combine electricity and gas is more
17 that we try to develop technologies that are economically
18 viable to transform power to gas and using this. That's one
19 of the fields where we come together.

20 On the pure flexibility, as I said, generation
21 it will be highly intermittent renewables backed up with, in
22 my view, nuclear and this flexible gas-fire power plant. If
23 there's other power plants that have the same flexibility
24 and we had discussions recently in China. The Chinese they
25 are working on very flexible coal-fired power plants where

1 they can even meet our emission performance standard, they
2 say. Then of course, that could be an option for those
3 countries that are staying within.

4 On the other side, on the demand side, the
5 flexibility here we see in Europe huge potential. If you
6 look at it, currently, we are only taking in 21 gigawatt on
7 demand side management. If we implement our proposals on
8 demand side management price-based and incentive-based, we
9 can go in 2030 to 160 gigawatt, so there is a huge potential
10 also on that side really to bring this flexibility to the
11 market.

12 CHAIRMAN LA FLEUR: I'd like to ask Mr. Hewson
13 and Commissioner Madrigal if you'd like to chime in anything
14 on that question or I'll move on.

15 COMMISSIONER MADRIGAL: What I think has been
16 interesting for us is the discussion of when and what
17 solutions do you need now for your level of penetration.
18 What we're seeing in Mexico is that we could reach 10
19 percent of variables so quickly, like in one to two years,
20 that we need to know what we need to do faster than, for
21 example, -- in Europe, so not all countries can reach higher
22 levels of penetration faster, so we need to implement the
23 solutions faster. On that we're just learning from
24 experience and learning from you, from Europe. And looking
25 ahead, we're actually collaborating with -- to perform a

1 North American integration study to see what would be the
2 solution for higher levels of penetration.

3 We do have some issues in an isolated area of
4 the country -- very small, 200 megawatt system that is
5 insulation. We set up a limit in that region and the limit
6 was reached almost at the moment the rule was issued because
7 it's so attractive solar power in those parts of the
8 country, so we're working with the utility on reviewing if
9 that limit is consistent or not with the practices we know
10 you can implement already. So the issue of when and how
11 fast you need to implement solutions is becoming an issue
12 for us because we can do it faster, so what solutions do we
13 need to put into table faster so we're learning from doing.

14 MR. HEWSON: I think all I would add is that as
15 we implemented our coal phase out we did turn to gas. We
16 have very good gas assets in the province and had always had
17 a history of gas plants as one of the key sources. So we've
18 put resources in place. What the government has committed
19 us to look to do is to work with the distributors, the
20 transmitters, the generators and mostly with the demand
21 management community to work to make sure that we don't
22 need to build any more plants.

23 So we're now in the province much more focused
24 on a DR auction that is going very well. Our smarter
25 pricing we've rolled in smart meters across the entire

1 province, implemented time-of-use pricing and we're now
2 looking at models that would make even more dynamic pricing
3 models put in place. So we've really got to the point where
4 we're saying we're not going to -- we don't forecast
5 needing to build new gas plants. What we're looking at is
6 making sure that we keep up with the renewables.

7 CHAIRMAN LA FLEUR: Thank you.

8 It's really quite striking listening to all of
9 you because you're going through a lot of the same
10 challenges that we are and the same phenomena of
11 transformation, although at a different pace and with
12 national goals, whereas we're coping with the additional
13 dimension of having different climate goals in a lot of the
14 different states, which is an interesting feature right now.

15 I wanted to also ask Dr. Dieter-Borchardt a
16 question about just your -- one of the last things you
17 mentioned was the coordination between the distribution
18 system operator and the transmission system operator and
19 that's something we've been talking about as we see
20 potentially more distributed resources, starting in
21 California, but in other parts of the country as well
22 getting into the wholesale -- aggregating and getting into
23 the wholesale market and how do you coordinate what they're
24 paid in the distribution market versus what they're paid in
25 the wholesale market and also how do you coordinate

1 operationally between the control centers?

2 And I'm interested in any lessons that you've
3 learned. I know Germany, for example, has had an extremely
4 rapid growth of distribution-connected resources and
5 anything we should take from that as we figure out how our
6 distribution centers and transmission centers should talk to
7 each other.

8 DR. DIETER-BORCHARD: Well, unfortunately, you
9 refer to Germany. Yes, it's true there we have almost 900
10 distribution system operators, very small ones even and
11 serving less than 100,000 customers. So I don't think that
12 that's the model that you should follow, but until now I
13 must say the distribution side was left out of our
14 development of the energy system; but as I have said
15 already, now bringing massive renewables into the
16 distribution grid now we have to deal with that. We have to
17 deal with that to also reformulate the roles of the
18 distribution system operators. We have to give them access
19 to the flexibility because they have the first go on all the
20 energy that is coming into their grid. And then because
21 again we do not -- as in Ontario, we do not also want to now
22 go for a copper plate. We also want now then to have the
23 cooperation between DSOs and TSOs so to bring then this
24 energy up to the transmission grid.

25 And what we are proposing now, so I cannot give

1 you the results, but what we are proposing now is, first of
2 all, at the European level we have already a very strong
3 European organizations, not lobby organizations,
4 institutions representing the TSOs in gas and electricity
5 and we have no such structure for the DSOs and that's what
6 we are proposing now. We are proposing to establish not
7 exactly in the same way, but similar to the GSOs, a DSO body
8 at EU level. That's the first step.

9 And the second step then is, as I said, we are
10 also tasking the platform that both organizations then have
11 to build. We are tasking them with the different tasks
12 where we then not dictate how they should implement then the
13 cooperation, but we say on which fields they have to
14 cooperate. For instance, data management they have to do,
15 then the integration of the renewables, the planning and
16 managing.

17 Cybersecurity these kinds of issues they have to
18 work out codes and guidelines where necessary, demand side
19 management the same thing. So all this they have to work
20 out then in future from this platform and then it goes
21 through the normal process. So it is a structural approach
22 and task approach, but selected tasks.

23 CHAIRMAN LA FLEUR: Thank you.

24 I wanted to turn to our colleagues in North
25 America here. Of course, Mr. Hewson, Canada's been a part

1 of NERC since its creation and we run an integrated grid.
2 And Commissioner Madrigal, I know you recently signed a
3 Memorandum of Understanding with NERC and have become more
4 and more integrated with the NERC work. And by the way, I'm
5 just struck by the fact that you're doing in Mexico things
6 that it took 20 years here from opening the grid to setting
7 up the market to introducing competition in transmission and
8 everything in such a short time. It's just quite
9 impressive.

10 I'd like to turn back to the conversation we had
11 in the session before and ask Mr. Hewson and Commission
12 Madrigal what you're looking for from NERC as you go through
13 this transformation? We're all going through an energy
14 transformation, but how this NERC and energy reliability
15 enterprise can help and anything you want to contribute on
16 that topic because we see you as partners in this topic
17 we're working on today.

18 COMMISSIONER MADRIGAL: Yes, thank you.

19 I think for us cooperation is very important.
20 We learn a lot. Our energy systems are more and more
21 integrated. Of course, they are more integrated in the gas
22 and liquid fuel sector, but what integrated in gas --
23 basically, what integrated in electricity is 40 percent of
24 our production is from gas, so without recognizing that even
25 at the ministerial letter Mexico signed with the DOE this

1 general principle for promotion the reliability, then we
2 with the system operator and NERC sign them and will --
3 understanding we were already receiving lots of very
4 valuable feedback from NERC. You know practices on
5 reliability, sitting a standard, how to supervise, and
6 basically the objective of this memorandum is to exchange
7 experiences on physical infrastructure protections,
8 cybersecurity operation and planning. So it was just
9 basically for us a new step in the relationship because it
10 has been so useful.

11 One of the areas that I see of importance going
12 forward is with the opening of the power market in Mexico we
13 see a lot of more interesting trading across borders. We
14 have a historical interconnection with California and their
15 collaboration has proven there it's always beneficial to
16 both parties if we have common rules, common reliability
17 standards. There in California we use many of the WEC
18 standards. So going forward, I just see our two markets
19 deepening a lot. We have many hearings at the Commission
20 with in depth opinion from the U.S., from the different
21 states trying to build transmission infrastructure to trade
22 energy to Mexico.

23 So we need to, I would say, work a little bit
24 more closely on cross-border capacity location, transmission
25 rights, and of course, reliability standards as integration

1 gradually grows in other states. So I think it's just a
2 natural progression similar to what you have seen in Mexico.
3 But I just wanted to stress that the relationship has been
4 very, very useful so far here.

5 CHAIRMAN LA FLEUR: Thank you. Mr. Hewson?

6 MR. HEWSON: Thank you. So I would second
7 Commissioner Madrigal's point about inter-ties. I know that
8 as we look the planning that the IESO is doing for Ontario
9 the inter-ties play an incredibly important role both ways.
10 You know we're an importer and exporter every year. And as
11 we look at developing the renewable -- greater renewable
12 energy in the system that becomes even more important for
13 both sides, for New York, Michigan as they're developing
14 their climate goals and they're implementing their new
15 policies we want to be able to make sure that we work well
16 together.

17 So I hope and understand from my colleagues at
18 the IESO that NERC is taking those things into consideration
19 and is considering the need for good flexibility across the
20 systems to be able to integrate the changes in the way the
21 supply situation is working. I think going forward the DSO
22 side of things is going to become more critical for -- I
23 know our ISO is much more closely working with them. I
24 think that will slowly work its way up and there's going to
25 be more coordination across those systems.

1 And I guess I would say, as an economic
2 regulator, we're always looking for the standard-setting
3 body to be taking into consideration that care about the
4 costs of compliance, the cost of implementing new standards,
5 recognizing that as the supply changes there are new cost
6 pressures in the system, either from the renewables
7 themselves or the different systems that have to go into
8 place like storage to be able to make sure that you can
9 manage that. And so we're constantly, as the regulator,
10 looking to make sure the system is as efficient as possible.

11 CHAIRMAN LA FLEUR: Thank you. I want to turn
12 it back to Michael, who actually has some recent experience
13 in the European Union on an assignment, so I'm sure you'll
14 get some staff questions.

15 MR. BARDEE: On my assignment, I was actually
16 reporting to Klaus Dieter, so now it's payback time. And I
17 actually do have a question for you, sir.

18 As you may know, in our country one of the
19 issues we are facing now here at FERC is how to balance
20 preferences of states to manage their resource portfolios to
21 make their preferences known on generation and other
22 resources, how to balance that with having regional markets
23 and not having those markets distorted by the inputs by
24 individual states.

25 You described briefly your proposal on capacity

1 mechanisms, which are, in sense, are tools used by member
2 states have to integrate in some way with the regional
3 cross-border markets that you're hoping to encourage. Can
4 you talk about how that proposal is fairing so far?

5 DR. DIETER-BORCHARDT: Yes, thank you very much.

6 This does not necessarily mean if you have the
7 energy mix left to the member states and you create a
8 regional market that this is distorted. It becomes
9 distorted when the member states put money into the
10 development of one or the other technology and that is the
11 point because you can have different energy mix in a region.
12 Here a region means different members states together in a
13 region and each member state has a different energy mix.
14 This can perfectly work and we have the rule to make it
15 work, but the biggest enemy is the state intervention in the
16 national context, which then, of course, has a direct impact
17 on the regional market and that's we have revisited the
18 support schemes for renewable. I tell here example Germany.
19 By the way, Ms. LaFleur, that's maybe a lesson learned not
20 to repeat, what the Germans did. They were successful to
21 boost renewables, but at the price that no other country can
22 afford, so -- tariffs 20 years at a very high level is not
23 the way to go.

24 We have changed the system. There is no feed in
25 tariff any more allowed, so renewable support scheme have to

1 be market-based. They have to be auctioned and the price
2 has to be tested through the market. So this is on the
3 support scheme.

4 You mentioned the capacity mechanisms. It is a
5 subsidy scheme, not doubt about it. That's the reason why
6 we have said first the necessity has to be established at
7 the regional level, not at the national level. Let's assume
8 that you have in the Country A you have an adequacy problem,
9 but next to it in the Country B you have a mothballed
10 gas-fired power plant. It is not invented Belgium/Holland.
11 Belgium has an adequacy problem because they have problems
12 with their nuclear plants.

13 Next, 16 kilometers from the Belgium grid, there
14 is a mothballed Dutch gas-fired power plant, so use it, make
15 the connection, and use it. Here we had struggled with the
16 Belgium government because they said, no, we don't trust the
17 Dutch, so we want to have our strategic reserve. So all
18 this comes in, but here, of course, that's the role of the
19 Commission then to go into that and saying, look, this is
20 the kind of state intervention that we cannot accept because
21 let the market work. Because if you have the connections
22 and you use all the potential of the regional market, then
23 you get very, very good results, cost-efficient results, so
24 adequacy assessment for the capacity mechanism regional
25 level.

1 The other issue is there cross-border
2 participation. So if they are allowed to design a capacity
3 mechanism, it cannot stay national so others can offer
4 because they have to tender. These are the elements that we
5 are, from the European level, bringing into avoid the risks
6 that you rightly pointed to, that if you have this -- every
7 country has its champion and is going for it and supporting
8 it that would have a devastating effect on regional market.
9 So therefore we have a very strong state supervision by my
10 colleagues from DG competition. You all have certainly
11 heard about of them, so that's one of the tools.

12 And the other we are doing through the energy
13 policy that we are trying to Europeanize support schemes
14 whenever they are necessary and we are going for regional
15 assessments instead of national assessments.

16 MR. BARDEE: One other question on a different
17 topic then for any of the panelists. One of the issues that
18 we have done some work on and may have more to do is as
19 renewables continue to grow on our system we've tried to
20 ensure that they are contributing the services that other
21 generators provide, whether it's a primary frequency
22 response or voltage or other services so that at an
23 appropriate time and in appropriate way they are asked to
24 bear their share of the burden just like other generators,
25 and I wonder how you all are doing with that issue.

1 MR. HEWSON: Certainly, at the transmission
2 level the IESO has been working with the large transmission
3 connected wind facilities to look at increasing their
4 ability to provide some of those services. At the
5 distribution level, I think that's the next area that we're
6 going to get into. Right now they've connected. The
7 distributors have really taken on the role of upgrading
8 their systems to be able to make sure that they can manage
9 the effect of the renewable energy on the system. So I
10 think it's an area that we're going to get into more,
11 certainly being talked a lot about in Ontario, the need to
12 make sure that all generators are providing the same types
13 of services.

14 COMMISSOINER MADRIGAL: On the technical side,
15 what we did as part of the first sort of independently set
16 grid code, we review what has been Germany and Spain and the
17 U.S. and there are very specific technical requirements on
18 low voltage, ride-through capability, frequency response.
19 So from the beginning we already included some of those more
20 than requirements for large scale facilities because the
21 experience of the past 10 years was that, yes, we need to
22 improve. You know we had some all-induction machines, so
23 we're moving to new technologies.

24 On the technical requirements also of the
25 distributive level, we have a back-and-forth with the

1 utility with regard to inverters, so the issue of smart
2 inverters. So we had a long discussion what is a smart
3 inverter. Are you going to be able to use it where we ask
4 the solution utilities, so the utilization part of smart
5 inverters and the abilities you have to send signal I think
6 it cannot be overlooked because we say we put all these
7 requirements are you going to be able to use them or not.
8 So we reached to a compromise in which we set some smart
9 inverter light requirements for distributed generation
10 resources in terms of the frequencies they have to stay
11 connected or disconnected from the system, but I think the
12 distribution level is going to be a learning process because
13 not all distribution utilities are at the same level of
14 maturity to use those technologies. Some utilities we saw
15 in Mexico were struggling on how to understand then
16 metering, the rule. How do I calculate the bill? How do I
17 send the calculation, basic stuff? So when you move to the
18 -- of the controls, it becomes a little bit more complex.
19 So I really think, as our colleague from Germany, we need to
20 work more on making sure distribution utilities work
21 together to understand this new world in a more organized
22 way because I think that's definitely a challenge.

23 On the commercial side, and although we're
24 really moving really fast with the reform, on the pricing on
25 ancillary services, they celebrated the work we were doing

1 on pricing, especially frequency response and reactive power
2 because we have seen a tremendous interest of consumers to
3 install storage, even medium scale. And you know for
4 storage to say I want you to recognize the value I'm
5 providing to the system. So we're thinking more
6 realistically on how we should price ancillary services, so
7 that any device if it is a storage or if it is a wind or
8 solar plant is priced accordingly, so we haven't finished
9 that yet. So we are working and I just thinking on how to
10 do it so that the value provide by storage or wind or solar
11 is recognized regardless of what technology is providing the
12 service. So there we still have a pending task and we're
13 trying to just learn as much as we can.

14 DR. DIETER-BROCHARDT: We as well. We are going
15 first and foremost to the DSOs for the reasons that I have
16 mentioned. Most renewables go into the distribution grid.
17 That's why they need to have the access that they currently
18 do not have to the extent necessary. But next to it, we
19 want also to develop a market for our ancillary services so
20 that we do not see that DSOs should have an exclusive right
21 in providing these services.

22 Certain, yes, those are anyway covered by our
23 network codes, but other services can also be provided
24 through the market and therefore we are also very keen to
25 develop certain ancillary services over the market and then

1 the rest producers, of course, they have to pay for it
2 because they remain responsible if they cannot. And they
3 cannot carry out this task themselves. They have to
4 purchase the services over the market or if they get it from
5 the DSOs, then of course it is included in the fees.

6 MR. BARDEE: Okay, so let me thank our three
7 panelists and we really do appreciate your being here today,
8 coming farther than anyone else on our agenda today. We
9 thank you. And we'll come back at hour from now, 1:35.

10 (LUNCH BREAK)

11

12 MR. BARDEE: Thank you everyone. We are back
13 for Panel Number Three headed as the Potential for Long-Term
14 and Large-Scaled Disruptions to the Bulk-Power System. So I
15 will start us off with our panelists, starting with Mark
16 Lauby from NERC. Mark, please take it.

17 STATEMENT OF MARK LAUBY

18 MR. LAUBY: Thank you and good afternoon. I
19 wish to thank the FERC Chair and of course Commissioner
20 Honorable and the staff for holding the Reliability
21 Conference.

22 At no point in modern history has the
23 electricity sector experience a period of such revolutionary
24 change. As to the theme of this panel, avoiding long-term
25 and large-scale Bulk Power System disruptions is at the

1 heart of what NERC's mission is. In fact, NERC and the
2 regional entities work with industry every day to identify
3 risks to reliability, prioritize actions, and implement
4 mitigations.

5 NERC uses a number of mechanisms for risk
6 identification and mitigation. For example, the Reliability
7 Issues Steering Committee identifies, prioritizes, and
8 recommends mitigation of high and medium priority emerging
9 risks. Some of the indentified risks include the changing
10 resource mix, loss of situation awareness, extreme natural
11 events, and cyber and physical security vulnerabilities.
12 I'd like to focus on two issues related to the changing
13 resource mix, distributive resources and single points of
14 disruptions.

15 As Gerry mentioned earlier, the ERO Enterprise
16 continues to scan the system for information that its
17 collects for looking for faint signals, finding and
18 addressing small risks today so that they don't become a
19 bigger one tomorrow and this is, of course, evidenced by our
20 recent technical report in the alert and affordable --
21 generation.

22 NERC will continue to scan for affects on the
23 Bulk Power System, including monitoring the proliferation of
24 distributive energy resources. We will focus especially on
25 the changes in system characteristics and ensuring that

1 there are sufficient amounts of essential reliability
2 services.

3 Secondly, suspending the supply of natural gas
4 in the Aliso Canyon storage facility is a good study case on
5 the vulnerabilities at the intersection between electric and
6 natural gas industries. As an in depth review of this risk,
7 NERC is completing a study on single points of disruptions,
8 recommending, first, FERC run gas transportation as a
9 reliable supply mechanism; secondly, periodic verification
10 of dual fuel capability and availability. I understand it's
11 getting harder and harder to build dual fuel plants; ability
12 to obtain air permits or waivers to them anyway and increase
13 planning activities, contingency analysis, and operational
14 coordination between the two sectors.

15 I'm going to transition a little bit to
16 resiliency. System resiliency is becoming an enhanced
17 yardstick for reliability and I will cover resiliency in the
18 context of two additional risks, one being extreme natural
19 events and the second the loss of situational awareness.
20 FERC, NERC, and regional entities are actively working
21 together jointly on resiliency. In 2016, FERC and the ERO
22 Enterprise jointly issued a report reviewing the sampling
23 of industry restoration recovery plans. The report
24 concluded that the plans were thorough and highly detailed
25 and included 15 recommendations.

1 As a follow on to that study, a recent study was
2 completed looking at the loss key situation awareness
3 capabilities and how they may impact system restoration.
4 Restoration activities that maybe difficult without these
5 capabilities were identified, along with provided
6 recommended methods, practices, and training.

7 Another example is the mitigation from the
8 affects of space weather. In response to the Commission's
9 directives, NERC developed two standards to address risks
10 from geomagnetic disturbances. The first standard requires
11 entities to have operating procedures that mitigate
12 potential grid risks from geomagnetic disturbances. The
13 second standard requires system planners to address risks
14 from geomagnetic disturbances in system design and
15 operation.

16 Further, NERC recently submitted to FERC a
17 preliminary research work plan requiring an extensive
18 multi-year effort using scientific and technical expertise
19 from a variety of disciplines.

20 So in conclusion, and I know that's what you've
21 been waiting, NERC's leadership role is essential to
22 maintaining a focus on conventional risks, while
23 anticipating emerging risks during a period of revolutionary
24 change to the electricity sector. By putting a spotlight on
25 key risks and their mitigation, working with industry and

1 with all our stakeholders, the ERO Enterprise endeavors to
2 ensure a highly reliable and secure Bulk Power System.

3 So thank you for the opportunity to address
4 these important topics and I look forward to discussions.

5 MR. BARDEE: Thank you, Mark. Next, we have
6 Dede Subakti from the California ISO.

7 STATEMENT OF MR. DEDE SUBAKTI

8 MR. SUBAKTI: Thank you. First of all, my name
9 is Dede Subakti. I'm with the California ISO. Thank you.
10 Very honored to be invited to the nerd and geek party and
11 I'm very proud to be a geek myself. And of course, it's
12 really hot here today, but it is much nicer than being in
13 California, where it's actually 110 degrees.

14 So today, I really only have two remarks really
15 and the first one being the gas/electric coordination and
16 we've been talking about Aliso Canyon since, what, it feels
17 like forever now and the need to recognize how gas and
18 electric coordinations and the need how to recognize gas
19 constraint in the electric system itself. And the second
20 portion is about the emerging issue relating to the
21 inverter-based resources, the one that we've just been
22 talking about with regard to the Blue Cut fire.

23 Really, each of these topics underscore the
24 importance of a balanced portfolio, a balance resource mix
25 that can provide essentially reliable services to support

1 operation of the Bulk Power System. So let me go to the
2 first topic with the limited operations with Aliso Canyon.
3 It's a concern for both gas customer as well as electric
4 customers simply because that gas curtailment through
5 generators could or may result in electric customer
6 interruption.

7 So in the past few months, I myself, learned how
8 important it is to have a robust coordinations between
9 regulatory authorities within the state agencies as well as
10 with the operating entities, so I made good friends with my
11 peer at the SoCal Gas and working closely together as we're
12 developing a lot of operating procedures with regard to
13 outage coordination, for example, between the gas outage and
14 transmission outage and generation outage. Day-ahead
15 planning, that's another one and real time operations.

16 We actually learned quite a bit about how each
17 other do our business. That's very interesting and very
18 crucial. Really, life is never the same again in California
19 with the limit operations in Aliso Canyon.

20 Now last year the Commission actually authorized
21 California ISO to implement various mitigation to address
22 this very issue. One of the mitigation measure that worked
23 quite a bit is the utilization of new constraint in the
24 California ISO market. What it is, is that a constraint
25 that is put into the market optimization to reflect gas

1 limitation in the way that we dispatch our generations. It
2 works really well. We used it in the past winter when it
3 was really cold and it works in coordination with SoCal Gas
4 System.

5 The authority to use this constraint is actually
6 expiring at the end of November 2017, so currently
7 California ISO going through stakeholder process to explore
8 the extension of this authority in a more permanent basis
9 and we also exploring the need and benefit to expand the use
10 of this constraint beyond just Southern California, such as
11 maybe in the western energy and balance market, the EI
12 market.

13 So really based these lessons, we really request
14 or encourage Commission staff to support and continue the
15 efforts to look at the transmission service provider,
16 transmission operator, market operator to implement adequate
17 tools to mitigate gas system constraint in order to be able
18 to operate the electric system reliably. We also believe
19 that we should continue to foster coordination between
20 electric and natural gas transmission operations. It's very
21 important. We learned that we rely on each other quite a
22 bit.

23 So while we have made significant improvement in
24 gas and electric coordination, Aliso Canyon underscored a
25 need for a balanced portfolio of resources and

1 infrastructures to help ensure BAs, such as California ISO,
2 so we do not overly rely on one fuel source to meet our
3 system need and can adjust to changing operating
4 conditions.

5 While that's good, we have solar-inverter,
6 solar. We have over 10,000 megawatt of transmission credits
7 of capacity. In the past few months, we learned that we have
8 a 1200 megawatt and that's just one event of many. So we
9 have joint taskforce and in the report look for two risks in
10 there. And based on these lessons learned, we believe it's
11 important to have a standard, a reliability standard or
12 clarifications of the reliability standards for the ability
13 to ride-through voltage and frequency disturbance.

14 So at this time, I would like to conclude my
15 remarks and thank everybody for allowing me to share these
16 remarks and I'll be open and happy to answer any questions.

17 MR. BARDEE: Thank you DeDe. Next, we have Dr.
18 Michael Kelly Rivera from Los Alamos National Lab.

19 STATEMENT OF DR. MICHAEL KELLY RIVERA

20 DR. RIVERA: Thank you. So David Ortiz and John
21 Ostrich of DOE and Eric Rolickson (ph) at DHSOCHI jointly
22 initiated a research project at Los Alamos National
23 Laboratory. The project's intent is to understand and model
24 the impacts of an electromagnetic pulse generated by the
25 detonation of stockpile nuclear devices on the transmission

1 and generation aspects of the U.S. Bulk Power System. The
2 ultimate goal of this research to build the knowledge and
3 understanding of nuclear MPs and their interaction with the
4 BES that is necessary to develop a scientific workflow
5 similar to TPL007-1, whereby the resilience of the USPES,
6 the nuclear EMP can be evaluated.

7 At the outset, constraints were established for
8 this scientific workflow. We would only consider a nuclear
9 MP insult an event of concern if it causes two affects.
10 The first is long-term damage to the BES requiring in excess
11 of three days to repair and the second is that an impact of
12 a significant portion of the BES resulting in an excess of
13 \$4 billion a day in loss economic activity to the United
14 States.

15 We've completed the first two phases of this
16 work and these phases, nuclear EMP insults were
17 parameterized. You can see the parameterization on the
18 second slide of the set of slides you have in front of you
19 and a list of benchmark events also on Slide 2 covering this
20 parameterization we've generated. And we've begun to
21 determine which of the benchmark insults were most likely to
22 rise to the threshold of the study constraints.

23 I'm going to jump straight to discussing the
24 five benchmarks XO atmospheric nuclear EMP insults that are
25 enumerated in the handout. I want to stress these benchmark

1 events do not correspond to any particular nuclear weapon or
2 weapon delivery capacity. If they did, I would be leaving in
3 an orange jumpsuit. Rather they have been chosen to clearly
4 delineate regions of interest where certain EMP effects, for
5 example, the E3 heave or the E3 blast or the E1 phase of the
6 first are dominate.

7 I'm not going to go into the extreme detail on
8 each of these benchmark events. Their expected impact to
9 the BES is shown in the table on page 2 based on our current
10 and previous studies. I want to note that there is a slight
11 error in the table. The impact from the 25 kiloton 100
12 kilometer case should read a medium with a 200 kilometer
13 case reading high. We'll get to that if you ask questions
14 later.

15 I'm going to stress two important points about
16 E1 that we are finding in our analysis and back those points
17 up with data that is presented later on in the later pages
18 of the handout. The first point that I'm going to stress is
19 not a new observation, but it certainly is an observation
20 that is not advertised well enough. Those of us familiar
21 with EMP know about smile diagrams very well. A smile
22 diagram is a general form for the radiated hazard field
23 present in the E1 part of the electric magnetic pulse
24 created high altitude EMP insult.

25 The E1 smile diagram for our five benchmark

1 cases is shown on the third page of the handout. Naively,
2 one might assume that where the electromagnetic pulse is
3 strongest the largest currents will be generated on cables
4 and lines. This line of thinking leads to worst-case values
5 of coupling, the worst-case current peaks, as shown on the
6 next figure or the next page.

7 If we look at the table to the upper right
8 reporting magnitude, for a few of these benchmark events the
9 pulses can exceed a megavolt in size if we think about the
10 coupling this way. This coupling, however, is completely
11 wrong. The efficacy with which the E1 component of EMP can
12 couple cables and lines is determined by more than just
13 magnitude. It's determined by the phase angle of the
14 electric field as well as a bunch of other things.

15 When these constraints are incorporated, the
16 realistic coupling hazard is shown on Figure 5. I'm not
17 going to go into extreme detail, but the important point to
18 take from this is that the magnitudes of the fields are now
19 down by a factor of 3 in some cases and even more. So the
20 important point to draw from this is the necessity to have a
21 complete workflow that incorporates all of the elements from
22 one phase to another. You cannot just simply hand off the
23 magnitude and expect the engineers to do coupling without
24 any sort of context and without any sort of other
25 constraints.

1 And the second point I want to make is about the
2 konus covering EMP event. For our benchmark events, this
3 corresponds to the 400 kilometer burst altitudes. The peak
4 radiated hazard fields and conducted hazard fields drop off
5 precipitously at these altitudes. For the 25 kiloton case,
6 in fact, the radiated hazardous fields dropped by almost a
7 factor of 5.

8 We are not ready at this point to conclude that
9 this means that the konus covering events are of absolutely
10 no concern, but we can say that the lower altitude burst
11 events, though affecting a smaller area, have a
12 significantly higher chance of damaging BES equipment within
13 the area that they affect. Thank you.

14 MR. BARDEE: Thank you, Dr. Rivera. Next, Dr.
15 George Baker.

16 STATEMENT OF DR. GEORGE BAKER

17 DR. BAKER: I want to thank Chairman LaFleur and
18 the other FERC Commissioners for the opportunity to speak
19 today. I'm a senior advisor to the Congressional EMP
20 Commission. I'm filling in today for Mr. Earl Gjelde who is
21 the former COO of Bountiful Electric Power Administration
22 and Undersecretary of the Interior and he regrets his
23 inability to attend.

24 I want to discuss EMP together with cyber and
25 physical threats, the EMP Commission, the charter we're

1 looking at all three affects, the combined affects and what
2 I want to do in the time I have is discuss a vision for the
3 future where the power systems will be able to operate
4 through, will recover quickly from these what we call triple
5 three contingencies. And there's a huge possibility of
6 common ground here. If you look at what the industry is
7 striving achieve and what the EMP Commission there's a huge
8 overlap and just stress that.

9 So the first point of the vision is that the
10 industry and government would be working together to achieve
11 the resiliency to these combined affects and private public
12 partnerships are essential and there's already some very
13 good examples of these in force. The infragard, the EMP
14 special interest group and several public/private national
15 exercise -- Army War College, National Defense, University
16 NARUC and U.S. National Guard Association is examples.

17 Also, another good example of late is Duke
18 Energy is working with state and local infrastructure
19 service providers and emergency responders at Lake Wiley to
20 develop a plan for EMP protection.

21 Now the U.S. Military has proven EMP protection
22 approaches that can be translated directly to a large part
23 of the grid infrastructure. And I'm concerned and
24 disappointed because there's been inadequate sharing of the
25 DoD insights with the power industry and DOE and EPRI and as

1 a result there's a lot of work that's being done that's
2 really reinventing things that were already known and that's
3 a problem. That's going to complicate the playing field.

4 The second point in the vision is the electric
5 utilities is able to recapture the cost for protection. And
6 here I'm not going to go into any detail because Tom Popik
7 will cover this.

8 Third, we need better models, national-level
9 models of grid affects and recovery steps and I think Los
10 Alamos is already onto this, but in order to have priority
11 system hardening, safe shutdown, and expedient
12 reconstitution we need better models and model development
13 will be greatly aided if industry historical databases are
14 made available to us. We have also yet to perform test to
15 failure validation for large transformers and generator
16 stations. That'll be every important to know where these
17 things actually failed.

18 Fourth, a vision point is a coordinated national
19 level Black Start Plan and resources that are exercised on a
20 regular basis. We have Black Start plans mandated for
21 limited blackout contingencies, but there's presently no
22 national plan addressing restoring the grid following a
23 large, long-term outage. A big difference between a normal
24 Black Start, if you want to call it, and a long-term outage
25 Black Start is the absence of functioning neighboring

1 regions. So when you get into local preparedness, it
2 becomes all the more important there.

3 Also, the communication assets used under normal
4 conditions will likely not be available due to EMP and GMD
5 affects, such as land mobile radios and UHF SATCOM maybe the
6 only communications available and these constraints need to
7 be included in planning and exercises.

8 And finally, we need -- and this is a point that
9 Commissioner Gelde (ph) wanted me to stress that the
10 FERC/NERC Consortium is not set up administratively or
11 legally for national security problem resolution. And we
12 believe on the Commission that a national electric power
13 protection executive is needed, reporting to the National
14 Security Council and that executive should be vetted with
15 the authority to establish protection and assessments
16 guidelines.

17 So those are the points. That's the vision.
18 And I hope that this will help focus our efforts to protect
19 the grid. Thank you.

20 MR. BARDEE: Thank you, Dr. Baker. Next, we
21 have Dr. Randy Horton from EPRI.

22 STATEMENT OF DR. RANDY HORTON

23 DR. HORTON: Thank you, Chairman LaFleur,
24 Commissioner Honorable, FERC staff, and fellow panelists,
25 EPRI appreciates the opportunity to participate in today's

1 technical conference. So my comments here today are going
2 to address the question that was posed to the panel
3 regarding manmade electromagnetic pulse. I will provide a
4 brief overview of the work that we're doing as well as some
5 of the knowledge gaps we're attempting to address with our
6 research.

7 So April 2016, EPRI initiated a three-year
8 research project to address the potential threat of how
9 altitude to the resiliency and reliability of the Bulk Power
10 System. And today I'm pleased to say that the project has
11 financial support from nearly 60 U.S. electric utilities.

12 I will refer you to my written comments
13 regarding the details of our research plan, but the primary
14 objectives of the plan are, one, improve understanding of
15 the potential impacts of altitude to EMP and we're looking
16 specifically at E1, E2, and E3 on the Bulk Power System
17 through extensive laboratory testing and computer-based
18 modeling; secondly, develop software tools, techniques, and
19 guidance that could be used by utilities and others to help
20 assess the potential impacts of HEMP on individual assets
21 and the Bulk Power System as a whole; three, to develop
22 cost-effective options to help mitigate the potential
23 impacts, and fourth, to provide timely communication of our
24 research findings to our supporting members and
25 stakeholders, as appropriate.

1 Through our collaborative research model, EPRI
2 is bringing together experts in electric power systems as
3 well as those versed in the phenomenology and effects of --
4 EMP to improve threat assessments to the Bulk Power System.
5 For example, we're working closely with the Department of
6 Energy, Lawrence Moore National Lab, Sandia National Lab,
7 and Los Alamos National Lab, which I can say Mike and I've
8 become close friends over the last year or so. And we're
9 also in communication with other agencies, such as FERC,
10 DHS, and the Defense Threat Reduction Agency or DTRA.

11 I will now quickly transition to our E3
12 assessment that was published in February of this year. Due
13 to concerns expressed over the potential loss of a large
14 number of bulk-power transformers which could lead to a
15 long-term blackout, an initial focus of our research was to
16 determine the potential impact of E3 on these assets. The
17 EPRI Study evaluated the potential impacts of E3 from a
18 single altitude nuclear detonation over 11 different
19 national target locations in the continental U.S.

20 Details of the study are provided in my written
21 comments, but in short, the results of our study indicate
22 that although a significant number of bulk-power
23 transformers could experience GIC levels above 75 amps per
24 phase or more, and that's the screening criteria that's in
25 CPL7. Only a small fraction, 3 to 14, depending on target

1 location evaluated would be of potential risk of thermal
2 damage.

3 These results can be used to help quantify the
4 overall risks of E3 impacts on the Bulk Power System, but I
5 want to stress that they should not be interpreted to
6 indicate that E3 will not affect Bulk Power System
7 reliability. The potential for widespread outages due to
8 voltage collapse and the combined affects of E1, E2, and E3
9 together are still being evaluated. Although, the E3
10 research is continuing, a significance focus of EPRI's
11 research efforts in 2017 and beyond are related to assessing
12 the threat posed by E1 and E2 and developing the capability
13 to evaluate the combined affects of E1, E2, and E3
14 simultaneously. We believe that the latter capabilities is
15 vitally important in understanding the true impacts of HEMP
16 on the Bulk Power System.

17 In conclusion, the potential impacts of HEMP are
18 real; however, there are many open research questions that
19 need to be answered before risk-informed decisions related
20 to hardening and mitigation can be made. EPRI is committed
21 to developing science-based solutions to these difficult
22 problems and will continue to offer technical leadership and
23 support to the electricity sector, public policymakers, and
24 other stakeholders to enable safe, reliable, affordable, and
25 environmentally responsible electricity.

1 Thank you again for the opportunity to be here
2 today. This concludes my testimony. I look forward to any
3 questions you have.

4 MR. BARDEE: Thank you, Randy. Next is Tom
5 Popik from the Foundation for a Resilient Society.

6 STATEMENT OF MR. THOMAS POPIK

7 MR. POPIK: Thank you Michael Bardee. And at
8 this point, the usual thing is for the panelists to thank
9 the Commission for the opportunity to testify. In this case
10 I would like to doubly say that. The Foundation for a
11 Resilient Society is usually a dissenting voice, but for the
12 second year in a row we've been invited to testify here.
13 And I would just say that open debate is alive and well at
14 FERC.

15 I can sit next to Dr. Horton here and we can
16 have a debate in public and that really reflects very well,
17 both on FERC and our country. And so I'll just briefly say
18 something about Dr. Horton's testimony. In terms of the 3
19 to 14 transformers that would be impacted, we really have a
20 small base of real world tests for that conclusion. Is it
21 correct there's only two actual hardware tests for
22 transformers that that was based on?

23 DR. HORTON: I believe that's correct.

24 MR. POPKIN: Okay. So we're a great nation. We
25 have hundreds of millions of people to protect and we really

1 should be able to devote the societal resources to having
2 tested more than two transformers and not even to failure
3 and not at full load; is that correct?

4 DR. HORTON: Not to failure.

5 MR. POPKIN: Okay. To come to these kinds of
6 conclusions that are so important to our society. So I'll
7 get into some of the substance to my testimony. The staff,
8 one of the prompts for this testimony is the question of
9 long-term outage and it's really a very important question.
10 We have about 10 pages of testimony. I can't go through it
11 in the next two and a half minutes, but I would refer people
12 to the testimony, which I believe has been put online by the
13 Commission at this point and I also have paper copies with
14 me.

15 But briefly, if we were to a long-term outage,
16 everybody in this room could potentially be in danger. What
17 is a long-term outage? It's an outage that persists longer
18 than the resources of backup power for the Bulk Power System
19 and supporting infrastructures and over an area so large
20 that significant outside assistance would be impractical.
21 We have a scenario for actually the eastern part of the
22 United States in my testimony today and I would really
23 encourage people to go through that.

24 I have some more remarks also about what really
25 drives reliability here in the United States and the

1 constraints that we, as a society, are put under. And I
2 would start off by saying that so much of Mr. Lauby's
3 testimony today and Gerry Cauley's testimony earlier, the
4 Foundation for a Resilient Society really agrees with.
5 When they start talking about gas/electric interdependence,
6 the need for fuel diversity, and the need for spending
7 generation for frequency support and for reactive power,
8 especially in places like California, a lot of these
9 technical reports that are coming out of NERC are really
10 excellent and we do hope that the Commission pays close
11 attention to those reports.

12 And also in my testimony today, we have a lot of
13 quantitative analysis which supports those findings of NERC.
14 And I would also say, very briefly, one of the fundamental
15 problems is that the market, especially the organized
16 markets, do not appropriately value reliability. And we
17 have, again, good quantitative analysis for this in my
18 testimony today.

19 And finally, on the last page of the testimony
20 of Resilient Society, we have some very specific
21 recommendations for the Commission and the Commissioners and
22 we hope that they examine those closely. And I'd be happy
23 to take any questions about those recommendations. Thank
24 you very much.

25 MR. BARDEE: Thank you, Mr. Popik. And finally,

1 we have Sylvain Clermont on behalf of the Canadian
2 Electricity Association.

3 STATEMENT OF SYLVAIN CLERMONT

4 MR. CLERMONT: Thank you, Mike. Bonjour Madame
5 President (speaking French).

6 Commissioner Honorable and Mr. Bardee and FERC
7 staff thank you for the opportunity to participate in this
8 discussion about reliability and to take the time so we can
9 have a discussion on the reliability. And it is also an
10 honor for me to represent my fellow Canadian colleagues.

11 It's been said, but it's probably useless to
12 remind anyone about the integrated nature of the electric
13 grid, but let me do it anyway because we must be looking at
14 solutions together. We are in this together. Today's
15 threats, including the one we'll be discussing in this
16 conference are cyber/physical security, extreme weather
17 events, CMP, GMD, you will all agree are all very
18 different. They're varied in nature. They're complex and
19 most of them are evolving. So preparing for one does not
20 necessarily prepare the grid for the other one. But still,
21 we must prepare for all of these and the threats don't know
22 yet, so solutions probably must be on the same nature. They
23 must be varied. They must adapt and we suggest we must take
24 an all deserved approach to resiliency instead of focusing
25 on each of these threats individually.

1 So what do we do? Well, certainly, careful
2 analysis to learn and understand the threats and their
3 impact and the network behavior resulting from these threats
4 is important. Risk identification like NERC is doing that
5 is proactive action, looking forward trying to anticipate
6 where your bigger risk will come and trying to understand
7 what will affect your network in the year to come.

8 And at entities, each of us we should continue
9 to study our studies to better understand the impact on our
10 own network. That should result I call them intelligent
11 investing at strategic and critical points of our network.
12 So out of these analyses we understand where are the weak
13 points, if I may say, of our network, so intelligent
14 investing to make those weak points or strategic points more
15 resilient.

16 Managing carefully inventory spare parts. We've
17 been talking about spare part transformer for a while, but a
18 bunch of spare parts for your critical equipment, so I call
19 that managing carefully inventory and of course collaborate
20 together, including collaborating with regulator and have
21 open discussion with regulator. Sharing information between
22 industry, government, and regulator, we keep saying that,
23 but that is really key to making good progress, using the
24 forums even more. The forums like the NATF and the GATF
25 offers great spaces for candid discussions.

1 Continue and expand the exercise like the
2 grid-x. Grid-x are a great learning experience for all of
3 us -- government, industry -- so we should continue those
4 and expand those.

5 In Canada and with the U.S., we did recently the
6 U.S./Canada electric grid security and resiliency strategy.
7 That's a start. We should continue to work on that and work
8 on the actions that are in that document. We also must keep
9 in mind that as regulator and our customers want us to spend
10 wisely the money they give us we must be careful about where
11 we spend to make sure that we spend on what matters most for
12 reliability.

13 All of these threats, of course, including the
14 I- impact can't be ignored, but I believe they must be
15 addressed with broad solutions that make the grid more
16 robust and more resilient to anything.

17 And finally, standards -- and maybe we will be
18 discussing that more -- standards are not the only tool in
19 our toolbox and may not be actually the most efficient tool
20 in our toolbox. We have alerts, guidelines, best practices,
21 lessons learned. Are there ways to improve on those? Are
22 there ways to follow ups on best practices? So like alerts
23 when they are issued, you must respond and say, okay, I did
24 what's in the alert. Could we expand for best practices?
25 It's an open question, but these are tools in our toolbox

1 and they probably can be used more.

2 And lastly, remember no on entity, no one agency
3 can work in isolation to find a solution. So that concludes
4 my testimony. Many thanks for your attention and for the
5 opportunity and will be pleased to discuss any question you
6 may have.

7 MR. BARDEE: Thank you Sylvain. We'll start our
8 questioning with Acting Chairman LaFleur.

9 CHAIRMAN LA FLEUR: Thank you. Well, thank you
10 all very much and merci beaucoup, Mr. Clermont.

11 Okay, I'm going to start with Dr. Horton. As
12 you probably know, I was recently hauled up to the Hill to
13 testify about EMP and it actually was a great experience
14 because as always when you testify it meant I spent several
15 days really preparing. And I testified that the Commission
16 has been quite deliberate in not directing an EMP standard
17 thus far as we have directed physical security, GMD, and
18 other things because we didn't believe that we had a clear
19 enough path to where the best place would be to require
20 thousands of transmission owners to spend their money to
21 protect the grid against the biggest risks. And I got into
22 a little bit of a sparring with some of the other folks on
23 the panel about whether the physical securities studies or
24 whatever how we would best get at that.

25 And I pointed quite repeatedly to the Los

1 Alamos, Idaho, and EPRI work as potentially yielding that
2 information about how we best actually protect the grid.
3 And I see in your testimony, Dr. Horton, and I invite others
4 to chime in too, that some of these pieces of work from EPRI
5 are coming quite soon, third quarter this year, fourth
6 quarter this year. Do you think those pieces of work will
7 give us actionable information that we can use decide what
8 to do about the grid or are they a step on a path? I mean
9 where are we in really understanding this.

10 I would love to be able to do something about
11 while I'm here, and that's not forever, so where are we?

12 DR. HORTON: Right. With my EPRI hat on, I have
13 to be kind of silent on policy issues, so I'll speak
14 strictly from a technical standpoint. So at a high level,
15 if you're asking me from a technical standpoint does the
16 knowledge, the tools, and guidance, and so on exists to do
17 kind of a TPL8 type of standard I would say the answer is
18 no.

19 So basically, our research project we're not
20 really even getting into the risk piece. We're assuming
21 that the blast happened. We're looking at really what are
22 the true impacts and ultimately how would you develop
23 cost-effective mitigation options to mitigate against those
24 impacts. So we're doing this as quickly as possible, so you
25 know this is a three-year research project, but it's not

1 three years of research and then the data dump. So
2 actually, as we get to a point where we feel like we have
3 some actionable information, we're providing that to our
4 members. And I would also say to the public as well so as a
5 part of public benefit mission we always evaluate our
6 research deliverables to look and see, okay, EMP is a very
7 important topic. Would this make sense to put these
8 deliverables out in the public domain at zero cost?
9 There're always in the public domain.

10 So for example, the report that Tom mentioned
11 you know we did the assessment and we didn't just do the
12 assessment and say here's the answer. We did the assessment
13 and said here's what we did. Here's the input data we did.
14 Here's the models we used. That's how you're able to know
15 that two of the models were test. We're providing all that
16 detail so that we can have these robust discussions like
17 we're having today, but in short to answer your question, I
18 think, ultimately, at the end of the project when we're
19 able to do what Mike mentioned, which is this workflow,
20 which is look at the impacts of E1, E2, and E3 together
21 we'll have bits and pieces along the way, but we really need
22 to get to the point where we can study all that together to
23 really find tune what the potential hardening options might
24 be.

25 DR. RIVERA: The workflow can't be understated

1 here. There's a lot of missing pieces to EMP, but there's
2 also not kind of universally accepted workflow. Don't
3 worry. There are workflows out there. IEC has a set of
4 standards that you can follow. The quantitative workflow
5 from end-to-end that's agreed upon is important here. I
6 mean to go back to kind of the what happened with TPL007.
7 TPL007 put the workflow out there and then people came in
8 and beat up the workflow and different piece of the
9 workflow are now being looked at and maybe we substitute a
10 number here or we add this piece there.

11 The same thing needs to happen here. We need to
12 have an accepted workflow so that way scientists can come
13 and have a context with which to go, okay, this is wrong
14 here. This is right here. We have to change this and allow
15 this workflow to evolve to eventually something that could
16 be actionable.

17 DR. HORTON: And quickly, one thing I wanted to
18 add, you know it's easy enough to build a block diagram,
19 which is the actual workflow, but the real missing piece is
20 the actual tools, like they have to be built essentially
21 from scratch or figure out some way to cobble together the
22 different types of tools. That's another thing we're
23 working on.

24 CHAIRMAN LA FLEUR: Well, thank you very much.
25 I'm most concerned about E1. I certainly agree that our job

1 at FERC is not prevent it. Our job is oversee the
2 construction and operation of the grid to mitigate various
3 hazards and I think we have -- my understanding and I'm not
4 an electrical engineer, as is probably obviously, but I
5 believe we have our arms around E2 because it's like
6 lightening and we've done a lot of work on E3 like things in
7 the GMD context, but E1 is where we really need the work
8 that gentlemen are doing, I think, to have an intelligent
9 mitigation strategy.

10 DR. RIVERA: Just to jump in, E2, generally it
11 is said that, yes, it's a lighting-like strike and we're
12 hardened to lighting, so everything's okay, but this is an
13 assertion and it's something that really does need to be
14 investigated. I am not saying I disagree with the general
15 sentiment, but it's something that has not even been
16 remotely investigated.

17 CHAIRMAN LA FLEUR: Well, that makes your work
18 even important. So bearing in mind that we're waiting quite
19 eagerly for that work, I want to turn to the question I
20 think Clermont keyed it up of how can we build resilience of
21 the grid against various risks? I'm encouraged by some of
22 the things have been done recently on transformer sharing,
23 with grid assurance and so forth. I'm also slightly
24 optimistic that those sharing programs will lead to more
25 standardization or perhaps standardization. I mean I

1 believe strongly that if this industry knew what it wanted
2 in terms of mitigation it could go to ABB and Siemens and so
3 forth and they would build it because we have -- you,
4 collectively, have a great deal of buying power. So I think
5 we're making a little bit of progress there, although I'm
6 happy to hear more things we could do. But I'd like to know
7 how do we actually design redundancy and so forth into the
8 grid.

9 Of course, I read Mr. Popik's testimony, but we
10 can't turn back the clock and say we want -- we're going to
11 live with the system that has a lot of renewables and a lot
12 of demand resources and a reliance on natural gas. So how
13 do we build the Bulk Electric System to be more resilient?
14 Are there things we could be doing in terms of -- I'd hoped
15 that the operating procedures part of GMD would help by kind
16 of planning in advance, islanding. We have all these
17 experts here and appreciate any ideas how we can build it in
18 on the front end.

19 MR. CLERMONT: Well, if I may take a first shot.
20 I think what we learned from our famous ice storm in the end
21 of the nineties.

22 CHAIRMAN LA FLEUR: I remember very well. We
23 weren't too far away.

24 MR. CLERMONT: Well, you were in New England at
25 that time, yes, so probably a lot of your employees came to

1 help. And you remember that the --

2 CHAIRMAN LA FLEUR: As did yours come to help us
3 many, many times in your gray trucks.

4 MR. CLERMONT: Thank you. But may remember that
5 some part of the province were out of power for three
6 months, so I think that qualifies as a long-term outage that
7 we're talking about. Obviously, not large scale, but a fair
8 amount where a good share of the population was living --
9 was out of power for three months. So what did we learn?
10 So we took a careful look at our network and said, okay,
11 why? And then we came with design criteria. We review and
12 revised our design criteria, moving forward. So all new
13 lines must sustain more ice, more wind, more of that and
14 more of that, but that's 20 years ago. So all the new line
15 we build in the past 20 years are stronger. They have
16 anti-cascading towers. They're able to support more ice and
17 we added stronger structures.

18 We looked at the grid and we saw that a lot of
19 substation were already connected to another one, so we
20 built a couple of lines to make sure that they looped so
21 every substation is connected to more one of its friends.
22 And we look into remedial -- what's called RAS now, Remedial
23 Action Schemes, to see how that could help. And we're still
24 today looking -- we performed last year another critical
25 look at the network.

1 I was talking about weak points, but after 20
2 years of doing that where do we believe there's weak points?
3 Where do we believe I call them intelligent investments
4 could be made, so one more transformer there, one more line
5 there, one more substation to make sure that there's more
6 loops, that there's stronger structures. It's not magical,
7 but I think it did the job.

8 If were to have an ice storm like the one we had
9 or any actually extreme weather events our network would not
10 sustain the same amount of damage. So that's not a miracle,
11 but it's a careful, small investment, look at what was weak,
12 and we can all do that; but we will need an open
13 conversation with our regulators because it will require
14 investment. And the investment when we increase load or
15 capability of the network are usually easier to understand
16 for everyone, but now we're talking about money to get the
17 same service. These may be more difficult conversations
18 with the regulators.

19 CHAIRMAN LA FLEUR: That's why I'm asking the
20 question because I would like to be a champion of building
21 more resilience and having been around this industry for
22 several decades I find -- and I think this is just human
23 nature. There's a tendency to respond where it happens to
24 what happens, so Quebec is ready for ice storms, also you
25 did a lot of work on (0:44:07.4) disturbances after that

1 happened.

2 New York City has built its substations to
3 endure the next Sandy and bigger than Sandy. New Orleans is
4 ready for another Katrina. They've built the best levies in
5 the world. You go several hundred miles away and they
6 haven't necessarily applied the same lessons. And so that's
7 what this continental effort is about broadening those
8 lessons.

9 MR. LAUBY: Just to add, to me it comes down to
10 basic planning and risk identification and mitigation. And
11 of course, we've been working hard on that at NERC and with
12 industry and identifying what are some of the risks that are
13 existing today with the faint signals that we hear and do
14 something about them. And also looking forward as we see
15 more and more variable generation coming online and it's
16 going to be always synchronous of inverter-based. How are
17 we going to get inertia out of that? How are we going to
18 sustain frequency? How are we going to sustain voltage in
19 that kind of world? Let's make sure we put a spotlight on
20 those kinds of things so that we don't have to be looking in
21 our rearview mirror saying I wish I would've known about
22 that. So there's a lot of things that industry does to
23 ensure that the system's reliable. They ever get a thumbs
24 up saying -- nobody calls them at 3:00 o'clock in the
25 morning and say, look, it worked great.

1 Yes, so that being said, I think we have to be
2 vigilant. And if you read over Mr. Popik's materials, he's
3 identifying some of these risks as they come on the system
4 and so what do we need to be doing now to ensure that we're
5 ahead of it so that we've been able to ensure a highly
6 secure and reliable Bulk Power System?

7 DR. HORTON: I'll just make one quick comment
8 and kind of zero in on a particular problem, but with
9 regards to like safe transformer impacts due to GIC, either
10 due to B3 or GMD event, I think there was a couple of
11 things. Our recent E3 report and research basically if you
12 look at the way we did the study transformers that were
13 maintained properly like if you were in good condition we
14 didn't see a lot of issues. So you know improving
15 maintenance activities. And then secondly, a lot of
16 utilities are beginning to include GIC specifications in
17 their transformer designs. I think that's another kind of
18 low-hanging fruit action time that could be employed.

19 CHAIRMAN LA FLEUR: Thank you. And just to pick
20 up on something Mr. Lauby said, there's always enough money
21 after it happens. I just want to ask one more question
22 because I can't let you go without asking a GMD question.

23 COMMISSIONER HONORABLE: I was wondering.

24 CHAIRMAN LA FLEUR: Well, I've been closely
25 following the -- well, first of all, thank you for the

1 research plan, which has quite a lot in it. And I've been
2 closely following the budget of the U.S. Geological Service
3 and I'm wondering -- I want to just hear how important the
4 work that they do is to the operating protocol standard, the
5 ongoing work plan because I had thought we were quite
6 dependent on real-time satellite data to understand what's
7 happening with space weather, but I have the experts here.
8 Because it's just something I've been really watching.
9 There's been a lot of debate about the USGS budget.

10 MR. LAUBY: I think that the work that they were
11 doing, especially around mapping resistivity was extremely
12 helpful and there are other ways, I guess, that we can get
13 at measuring of that resistivity, but it allowed us to get a
14 much more of a microscopic view of the resistivity and an
15 understanding of what the ultimate -- occurrences are.

16 CHAIRMAN LA FLEUR: Anyone else?

17 DR. HORTON: I would just say that having the
18 magnetometer data and also the Earth model data is
19 critically important with anything to do with GMD. And even
20 the E3 I mean the Earth model piece of that is very
21 important.

22 DR. BAKER: I would echo that the Earth
23 connectivity models are extremely important and one of the
24 ways to get at that is to make more measurements and
25 correlation between GIC and the magnetometer data. That

1 needs to happen.

2 MR. CLERMONT: That won't be very useful for
3 you, but in Canada we get those data from Natural Resources
4 Canada, so we're not depending on that.

5 CHAIRMAN LA FLEUR: It's useful as a good
6 example. The kid next door does their homework on time.
7 Okay, I'll turn it over to Collette.

8 MR. CLERMONT: Well then, maybe it is useful for
9 you.

10 COMMISSIONER HONORABLE: Good afternoon,
11 gentlemen. Bonjure, sir.

12 MR. CLEMONT: Bonjure.

13 COMMISSIONER HONORABLE: I'm delighted to engage
14 with you all and I want to apologize for returning late. I
15 was at a luncheon and the speaker was Dr. April Erickson
16 from the NASA Goddard Space Center. Believe it or not, we
17 were almost talking over each other talking about this very
18 topic and how almost in vogue it is, not because it's the
19 most popular topic, but it's because we need to be focused
20 on it. And I want to thank each and every one of you for
21 the ways in which you have blended you expertise.

22 I, too, am a lawyer by trade and so this -- I'm
23 not an engineer, but what I do know is that scientists and
24 engineers you work by testing and challenging and finding
25 the proper dataset and making sure that the modeling, that

1 sensitivities and the futures are the proper ones so that as
2 we get more robust data we will be able to put it into some
3 modeling process and come out with something that we can
4 use. So really this discussion here today has given me some
5 comfort, Cheryl, about our course with the GMD effort. And
6 I want to thank those of you who have participated with us
7 along that journey.

8 And to our Canadian friends, thank you. When I
9 arrived here at FERC, one of my first meetings was with you
10 all and you reminded me about how our work impacts our
11 friends to the north, so thank you for also engaging with
12 us.

13 And to Mr. Popik, thank you because you've
14 touched upon this open process we strive to have. That's
15 why we have so many panelists because we know that there are
16 a lot of views and we don't want everyone to come and agree.
17 You all, even disagreeing at times, though in an agreeable
18 fashion, help us carry out this work better. And you
19 testing our thinking and the ways in which we are proceeding
20 help us and educate us. So regardless of whether you're at
21 the table, and I know you always do, you file those
22 comments. Please continue to do that because it so helpful
23 to us.

24 Mr. Lauby, I acknowledged to you, as you know,
25 in the other panel with Gerry Cauley, but we're so grateful

1 to all of you for your work on this topic in particular
2 because it's one that challenges me personally because we
3 don't have years of data and occurrences, thanks goodness,
4 that would really help better inform our work.

5 I want to ask a question, and it goes back to
6 something that Cheryl touched on. And I want to first start
7 with Dr. Horton and I want to ask any of you to chime in.
8 And let me thank every -- in full disclosure, I served on
9 the Advisory Committee for EPRI, but I learned a lot about
10 the ways in which EPRI is supporting the work in the sector,
11 looking ahead at what's coming around the corner. I was
12 very appreciative of this particular study.

13 I have to tell, Dr. Horton -- I call him Randy.

14 DR. HORTON: You can call me Randy.

15 COMMISSIONER HONORABLE: Thank you, Randy.

16 There was quite a bit of discussion. One, I
17 think people were excited to see it, but two, I think there
18 was an interesting question about why start at E3? You know
19 if you think about -- and I've had to educate myself. I
20 have just enough knowledge to be dangerous here. If you're
21 thinking about E1 scenarios, I agree with Cheryl. Those are
22 the things that I tend to be concerned about, especially the
23 early time pulse events.

24 E2, as Dr. Rivera said, could be maybe lighting,
25 but he said we really need to learn more about that in order

1 to say for sure. And then what appears to be the most
2 significant event, the E3, which may not happen as often,
3 but boy, when it does it will certainly get everyone's
4 attention. Tell me, and forgive me if you've talked about
5 this, how did you arrive at starting with E3? And let me
6 also say that I'm grateful that you will turn to look at E1
7 and E2 because I think altogether it will provide a wealth
8 of information for us.

9 DR. HORTON: So we made the decision I can say,
10 and you probably are aware of this based on what you just
11 said about some of the discussions you've had. We had some
12 very robust I'll say discussions about why we chose to go
13 with E3, but really it was simple. We did realize that if
14 you lost a large number of volt power transformers you would
15 have a blackout that lasted for a long time and then that
16 kind of changes the whole landscape. So right off the gate
17 we wanted to see, okay, if we took some of the same studies
18 that had been done in the past, but sort of update those
19 with some of the newer modeling capability that we have, we
20 wanted to see would we get the same answer.

21 Based on what we did, we didn't get the same
22 answer and that was the reason we felt it was very important
23 to put all of those details in a report so we can have a
24 discussion about what we did. You know people may not agree
25 with it, but we can talk about it and so on.

1 That said, in our study, we were not able to
2 include the effects of E1 or E2, which you know if you think
3 about how this might actually work in reality is you have
4 the E1 come through. You may damage some electronics. It
5 could affect relaying and how the system would respond when
6 you'd get to the E3 piece, but we feel like our analysis was
7 conservative from the E3 effects on transformers, but when
8 you start to look at what the overall system impact is you
9 really do need to include all there. So we're trying to get
10 to a point where we can model those -- essentially, model
11 those all together so that you really know what the full
12 impact is. That's kind of a long answer for a short
13 question.

14 COMMISSIONER HONORABLE: And I don't know if
15 anyone else wants to chime in this topic in particular, but
16 if not, I'm going to proceed.

17 Dr. Rivera, I want to thank you and your
18 colleagues -- I mentioned to Dr. Rivera before we began this
19 morning how grateful we are for the work of our colleagues
20 at DOE and especially you and your colleagues in the
21 national laboratories. We rely heavily upon your work and
22 it's beautiful how we have come to rely upon that in our
23 rulemakings and our decision-making and so there really is a
24 role we all play in holding this grid and making sure it's
25 reliable and resilient, so thank you.

1 I want to press on you a little bit more about
2 the E-2 areas to the extent that you're willing to discuss
3 this. What could we do to learn more about the sorts of
4 events that are likely to occur in an E2 occurrence and if
5 there are things that we should be working as regulators and
6 policymakers in this area?

7 DR. RIVERA: The short answer there is I don't
8 have a good answer for you. There's just not enough done on
9 E2. We have E2 simulators to some degree. We have E3
10 simulators to get to ground fields. There is, so far as I
11 know, no direct E2 simulator with which we could even get
12 ground fields.

13 Now this is not to say that this is a difficult
14 extension of what are currently codes that out there. It
15 just has not been done, so I wouldn't even know where to
16 begin on answering that, but it is some research that needs
17 to happen to ensure that this assertion about E2 is not
18 going to have an effect is adequately researched. So just
19 out of an adequacy of concern, basically.

20 COMMISSIONER HONORABLE: Thank you. And I hope
21 that some of your colleagues have heard that. In case
22 they're twiddling their thumbs, they can get to work on
23 that.

24 DR. RIVERA: They are well aware and they are
25 working.

1 COMMISSIONER HONORABLE: Well, very good thank
2 you. And I feel confident that if you aren't aware, then
3 there is certainly a lack of information because you are a
4 trusted source for us and I appreciate your candor there.

5 Mr. Popik, I wanted to turn to your
6 recommendations. You teed it up and I wanted to bite. So
7 in your pre-filed testimony, you have us lots of
8 recommendations. Thank you for those. I'm interested in
9 one in particular and it happened to be the last one because
10 in it you spoke about FERC's need to advocate and engage
11 more with Congress and the FCC regarding communications, in
12 particular, in ensuring resilience. I take that to heart.
13 I think a number of us, as regulators, were really aware of
14 our lack of coordination after, for instance, Hurricane
15 Sandy and inoperable we are in and how interdependent we are
16 and we can't communicate about getting the lights on if the
17 communications network isn't up and the folks in the
18 communication sector can't do their work if they don't have
19 energy. And so we know that there is a symbiotic
20 relationship there.

21 I agree with you that we haven't done enough and
22 especially after not only Hurricane Sandy, but any number of
23 events that have occurred. And I wanted to ask you in
24 particular specific recommendations you have since you've
25 teed up the issue.

1 MR. POPIK: Well, thank you very much for that
2 excellent question. Before I get into the heart of it, I
3 would say that already FERC coordinates with another
4 important agency, which is the Nuclear Regulatory Commission
5 and you have that annual meeting. I think you recognize, as
6 the Commission, the importance of that symbiotic
7 relationship between nuclear power and electric
8 reliability. The same is becoming ever-increasingly true
9 for communications and the Bulk Power System.

10 NERC and Mr. Lauby, in his testimony, referred
11 to this. I'll just briefly give you the history in terms of
12 resilient communications at the FCC. With Hurricane
13 Katrina, a lot of communications were out and it became very
14 apparent how critical communications are. There was a
15 post-Katrina panel that recommended great resiliency of
16 communications and the FCC actually passed a formal rule for
17 greater backup power durations among what are called central
18 offices and remote terminals.

19 Unfortunately, there was some opposition to that
20 and ultimately that greater resiliency for backup power was
21 placed aside by the D.C. Circuit Court and that's really
22 where it rests right now. I think that FERC, as a
23 Commission, would have very significant authority if you
24 were to go to the FCC and potentially establish the same
25 kind of regular meeting framework that you have with the NRC

1 and so that's really the heart of this recommendation.

2 COMMISSIONER HONORABLE: Well, thank you for
3 making it. And I recognize it's something we certainly
4 should consider it and I'm saying this out loud because I'm
5 sure that our future colleagues, whether or not I'm here,
6 will take this to heart. And our engagement with the NRC is
7 quite robust and we learn so much from one another. And
8 even with regard to rulemaking and licensing and permitting
9 there are just a number of ways in which we are aligned,
10 including our work with regard to reliability and
11 resilience.

12 I appreciate you harking back to Hurricane
13 Katrina. I recall days being chairman in Arkansas at the
14 Commission and dealing with coordinating and coordination
15 after tornadoes and after a significant amount of
16 infrastructure was taken down. I also when hearing you
17 speak recalled testifying before Congress before a
18 subcommittee about responding to severe weather events and
19 the need for the energy sector and the telecom sector to
20 better coordinate.

21 But in saying this I also would say that's why
22 the state processes are so important too, that the first
23 responders and emergency management and every one along the
24 spectrum also needs to be engaged. And so I appreciate that
25 you make the recommendation and I'll certainly keep it in

1 mind.

2 MR. POPIK: Thank you.

3 COMMISSIONER HONORABLE: And I believe I will
4 yield so that the staff can ask questions. Thank you.

5 MR. BARDEE: Thank you, Commissioner. I have a
6 couple of areas I want to touch on and then I'll turn to my
7 colleagues here. One of them starts from the Aliso Canyon
8 scenario, gas dependency as it increases in our country and
9 more specifically, the planning that might be necessary or
10 appropriate to foresee and prepare for similar circumstances
11 elsewhere.

12 We have transmission planning standard now that,
13 in some sense, has that element in it. It applies to
14 transmission planners and planning coordinators and it says
15 in certain circumstances you have to consider the loss of
16 two generating stations caused by a loss of a large gas
17 pipeline in a region or more than one region, so I have a
18 couple questions about that, either for Mark, Dede or both.

19 One is are those the right entities to give us
20 the kind of analysis and preparation that we need. You know
21 transmission planners, planning coordinators, first of all,
22 are balancing authorities who are the entities responsible
23 for balancing resources and demand. Should they have some
24 kind of responsibility like that?

25 And second of all, you know transmission

1 planners sometimes have a large footprint, but many of them
2 do not. Some of them have a small footprint and having a
3 lot of little entities, small entities do this analysis may
4 not give you the necessary insight and results because a
5 pipeline may affect several of them in a row and they each
6 see only their tiny slice, which may not be the problem.

7 MR. SUBAKTI: So California ISO we're planning
8 coordinators for the footprint that we have in California.
9 You're right that I think, as a planning coordinator, we do
10 see a lot more information with regards to how all the gas
11 infrastructures ties into our portfolio.

12 One unique thing about California ISO is we are
13 also the balancing authority, so because of the fact that we
14 are planning coordinators and we are the balancing
15 authority, we don't see that issue that you were talking
16 about, but I would imagine if you are only planning
17 coordinators and not a balancing authority you might have
18 that issue. I would agree with you in there.

19 Currently, we are doing the assessment for the
20 impact of potential gas pipeline in there because obviously
21 again we've learned through it because we have Aliso
22 Canyon's issue that is in there. I think we are in the
23 right directions. We believe that there is a good -- at
24 this point in time there's a good balance between
25 reliability standard for the planning horizons versus what

1 commissioners have allowed us to do to have the market
2 incentive to implement the constraints of the gas itself
3 into the market optimization.

4 So it becomes a transparent step. Where do we
5 need the renewable resource? Where do we need the other
6 type of resource? Where do we need the energy storage and
7 this other stuff, and I think the ability to have a mix of
8 resources, mixed type fuel resources would help to reduce
9 the over reliance on the gas. But obviously, this is one
10 the things that has been a very good experience for us. And
11 one of the things that we also have to look at, not just the
12 planning of what would you if you have a pipeline that
13 doesn't work, but then the question is what would you do if
14 you actually have a blackout, a long-term blackout with a
15 gas pipeline?

16 You know many of our black start resources are
17 natural gas units, so we actually went through this exercise
18 to look at which are the gas compressor that rely on
19 electric simply to be there versus which are the compressor
20 that are actually self-propelled that they can actually
21 self-power through the gas itself. So that exercise is very
22 useful for us.

23 MR. LAUBY: Thank you for your question,
24 Michael. You're right there is a TPO I think, four, you know
25 called for studying certain types of events, extreme events,

1 including the loss of a gas pipeline and especially if they
2 impact more than one generator or a large number of
3 generation. And the whole idea there is to develop plans to
4 address those and then, of course, that moves into actually
5 implementing some of those plans down the road becomes a
6 closer scenario.

7 It's something to think about now, though,
8 because it's becoming less and less of an extreme and more
9 and more a shorter -- you know in our face type of event
10 that we might want to look at that standard and see if it
11 makes sense to have really into -- put the solutions in
12 place, that one to five-year timeframe.

13 MR. BARDEE: A different topic, I have a
14 question or two on EMP. One, Dr. Baker, I'll start with
15 you, but others can feel free to chime in, has to do with
16 let's suppose that some point in the future the Commission
17 decides it's time to do a standard about EMP. It's time to
18 require a standard about EMP. If I compare it to GMD, it's
19 a natural event and you can put a number out there for GMD
20 and say protect to this level and you don't have to worry
21 about the sun reacting and saying I'm going to get bigger
22 and hit the Earth harder, but if it's an adversary, a nation
23 state or otherwise, if we specify a level of protection in a
24 standard for EMP, is it a concern that adversaries may
25 respond to that? Is that a risk?

1 DR. BAKER: I would say because of some of the
2 limiting effects of the atmosphere, saturation affects we
3 call them, that you can develop a bound that would be very
4 difficult to exceed. For instance, we've done calculations
5 in developing the DoD standard where we varied the yield by
6 three orders of magnitude and noticed only a factor of 4
7 difference in the peak field. And so for E1, I think that's
8 not a problem. For E3, again, it's very yield dependent,
9 monotonically yield dependent, but we know what's in the
10 stockpiles and so we could set our standards that bounds the
11 E3.

12 The Europeans have the International Electric
13 Technical Commission. It's already published some
14 international standards, which, at least for E1, I think
15 would be a very good one to adopt.

16 MR. BARDEE: And following up on what you just
17 mentioned about the IAC, I've read there are standards
18 there. There's the Mill Standard, MIL, from our Department
19 of Defense, but I've also read that those are not generally
20 developed with the grid in mind, may not be necessarily the
21 best approach for the grid and also might be fairly costly
22 if they were required. And I just wonder what your
23 perspective is on that, whether those standards have some
24 suitability or is there anything we can learn? Any part of
25 them we can take and use here as sort of a no regrets.

1 Let's start with that.

2 DR. BAKER: Well, for the environment, you know
3 DoD has all kinds of infrastructure and systems out there,
4 so the environments are independent of that where it gets to
5 be -- or the system affects in the grid and the grid itself
6 comes into play is when you start talking bout coupling, but
7 I think the environment standards you could develop some
8 that would be universal.

9 DR. HORTON: So I would agree with the
10 environment piece. I think where the difficulty comes in is
11 you've got several things playing here. You've got the
12 environment. You have the coupling piece, which would be
13 the modeling aspects, but then you also have this piece,
14 okay, you can sort of calculate what you think the equipment
15 would be exposed to during a particular event, but would it
16 be damaged? And then also what can you do in order to kind
17 of mitigate that damage. I think that's where the questions
18 for, for example, substation hardened equipment. There's
19 questions around what would the equipment actually be
20 exposed to and then what would the potential damage be.
21 Once you know that, you can kind of back into what the
22 mitigation options are.

23 Right now you know Mill188125-1 would assume that
24 the equipment you're trying to protect is not very hardened
25 at all, so it's pretty robust protection. So that gets to

1 be very costly, so what we're trying to do from our research
2 perspective is, is there a way to still get the same level
3 of mitigation because you're trying to harden different
4 kinds of equipment and do that in a more cost-effective
5 manner. But right now there's a lot of research to be done
6 in order to get to that point.

7 DR. RIVERA: So if I could just chime in, I'm
8 going to harp on this yet again. The answer to your
9 question is workflow related. We don't have an accepted
10 workflow. And when I say workflow that's not just a matter
11 of, okay, these are the steps we do to get a quantitative
12 answer, but that also is what are the bounds of what we are
13 calling damage that we're concerned of?

14 Until we have that accepted workflow, until we
15 have the appropriate bounds for what we're actually
16 concerned about, we don't know which parts of the IEC
17 standards or the Mill standards we need to pull out and plug
18 in to the workflow to establish, okay, well this is the
19 appropriate workflow and we can use this part of the
20 standard, so it's workflow related again. Until you have a
21 defined workflow, I don't I can't help answer you that
22 question.

23 MR. BARDEE: So my last question before I turn
24 to my colleagues or others, and your answer was actually a
25 good setup for it. Let's suppose we get to the answer where

1 that workflow is now done, we know the answer. We know what
2 we want to do. I assume there is a big, big difference in
3 cost of installing it in something new you're building today
4 compared to a retrofit of a substation or a control center
5 or anything else that's big. And assuming that we have the
6 flexibility to actually impose standards on new stuff
7 without mandating the same treatment for old stuff, would
8 that be a reasonable thing to do?

9 DR. BAKER: I would start there. And I've read
10 that in the next 30 years we're going to have a 50 percent
11 build out or increased build out in the grid, if that stat
12 is correct.

13 The other point I would make is the DoD
14 experience is that if you want to do global shielding for a
15 new build versus a retrofit, there's a factor of 10
16 difference in the cost, 2 percent versus 20 percent it's
17 roughly. But there are in some cases, for instance, in a
18 substation control building you may be able to isolate the
19 electronics in a very small volume, in which case the
20 protection costs would be much lower. So there's ways to
21 protect existing equipment, if you're clever, that would not
22 obey that factor of 10 ruling.

23 DR. HORTON: Just one thing I would add, cost
24 aside, I think when we start applying some of these
25 hardening principles and practices in substations, I think

1 we've got to be a little bit careful about some of the
2 potential unintended consequences, particularly when you
3 start to look at applying HEMP filters to CT and PT circuits
4 and things like that.

5 I'm not saying we can't engineer around those,
6 but I think just kind of blindly applying some of the
7 hardening could potentially cause issues that we need to vet
8 out and make sure that's not a potential issue.

9 MR. ORTIZ: Thank you, Mike. Thank you all for
10 your testimony and for the lively discussion.

11 I want to bring up just one question regarding
12 an item that Tom Popik put forth in his testimony -- in his
13 submitted comments rather. And this has to do with the
14 notion of resilient versus non-resilient capacity, meaning
15 simply that fuel is stored onsite. This could either be I
16 guess a dual fuel facility with some fuel stored onsite or
17 alternatively a coal-fire power plant or a nuclear power
18 plant and there's a suggestion in the testimony or rather in
19 the submitted comments that somehow we should come up with
20 more effective ways of measuring and valuing that resilient
21 capacity in some way.

22 And first of all, I'd like Tom to make sure that
23 I didn't misrepresent his remarks and also I'd like the
24 panel, perhaps Mark and others, to comment on that notion
25 and potentially could be done about it, either here at the

1 Commission or within industry. Is it more than just smart
2 black start planning? Is it something else beyond that?
3 Help enlighten us on what potentially could be ways to think
4 about that kind of resilient versus non-resilient, whether
5 or not there's a valuable way of putting it. Help us
6 understand that, whether or not that makes sense or that's
7 something that could be a potential area for action.

8 MR. POPIK: I'll go ahead and get us started off
9 because I would like to throw out some numbers about how
10 severe the reduction in the resilient generation capacity
11 has been. So just to reiterate what you said, if there's
12 fuel stored onsite, the generation capacity is resilient to
13 short-term interruptions in fuel supply. So this would be a
14 hydroelectric plant, a nuclear plant, a coal-fired plant
15 with a large coal pile or a gas-fired plant that has dual
16 fuel capability that would have oil tanks that could run
17 for, say, 24 hours or 48 hours, so that kind of thing.

18 And so what we did is we went to the EAI data
19 and we looked at two different points in time. We looked at
20 1996 and we compared it to the most recent data available,
21 which is 2015. So in 1996, 97 percent of U.S. generation
22 capacity was what we would call resilient, that had some
23 degree of fuel stored onsite.

24 And when we get to generation that's been added
25 to the system, 1997 and later, on 27 percent is resilient,

1 according to that definition and in some states the
2 reduction resiliency has been especially extreme. For
3 example, in California only 7 percent of the newly added
4 generation, which is almost entirely gas-fired, is resilient
5 or dual fuel. And you can actually go around and visit
6 plants and you can see the old oil tanks that no longer have
7 fuel oil in them.

8 So what's the solution to this? It's very
9 difficult to solve this problem with reliability standards.
10 And this is where FERC has a tremendous advantage in terms
11 of also being the economic regulator and being able to set
12 certain conditions of tariffs. And so one of the things in
13 our written tariffs testimony we suggested that perhaps
14 there could be some adjustments to the capacity markets
15 where there could be some allocation of capacity set aside
16 for resilient or dual fuel type plants.

17 MR. LAUBY: Conceptually, I think I'm really
18 quite comfortable with the definitions, remembering that
19 NERC has been looking at this problem for quite some time.
20 When we looked at the Clean Power Plan and how many plants
21 were going to retire and what are the implications of being
22 single threaded on gas and that's why we have a report on
23 single points of disruption and pointing to what are the
24 potential impacts. And in fact, in our LTRA, we're
25 starting now to get to the point of saying, well, we want to

1 know how many of your plants are dual fuel? How many of
2 your plants are buying on spot or firm so that we can start
3 getting a real idea of the size of the problem, as Mr.
4 Popik's pointing out and what are the implications on
5 reserve margins. How we can get an expected value of gas
6 for not being available? We can kind of play around with
7 that. So from a planning perspective, the methods are there
8 and then you can start looking at what the implications are
9 and what the value to reliability is of each one of those
10 resources.

11 MR. SUBAKTI: With regard to California ISO, we
12 do look at our black start resource, black start capable
13 resource carefully. And you're right there's specifically
14 one black start resource that remain -- capability. There
15 are quite a number of black start capabilities that are
16 hydro-based, but there are also some that are natural gas.

17 Now for those that are natural gas, we have to
18 go back and make sure when working with the gas company to
19 look at whether or not the delivery of the gas would rely on
20 the electricity. We want to make sure that they do not rely
21 on electricity because they have to be on a compressor site
22 that is self-working in there.

23 But beyond that, we have also worked with
24 different technologies. So for example, we have a quick
25 start capability from a HVCD line. Normally, HVCD lines are

1 not for black start, but we've worked with manufacturers,
2 with Siemens and what not to have the ability to have a
3 quick start for the area of San Francisco because, as you
4 know, there is no more conventional generation in San
5 Francisco, so we look for technology improvement.

6 The other one that is going to be interesting is
7 that through the -- process in there one of the measures was
8 try to look at the potential of coupling battery storage and
9 be able to work and help to start some of the unit that may
10 need to be quick start. So I think we have the right people
11 to take a look at all the solution. Dual fuel maybe one of
12 the solutions, but I think there are -- maybe there are
13 other emerging technologies that could actually help us
14 towards the solution.

15 CHAIRMAN LA FLEUR: I guess if there's one
16 minute, I'll ask one more question while I have all these
17 resilience experts. Something we've been hearing a lot
18 about is analog backup. I know it related to cybersecurity,
19 but it might relate to E1 and communications as well. Is
20 that something you see as part -- you know that there's a
21 King Risch bill and so forth and the thought of -- I have to
22 admit when I first heard it I was originally kind of
23 skeptical, but I've kind of warmed to the thought of some
24 different modalities of communication or ways to run the
25 system. Is that something NERC has looked at or thought

1 about?

2 MR. LAUBY: I know that like in the recent study
3 that we did, the joint study with FERC on the loss of many
4 of these are communication or situation awareness, and also
5 we went through and identified some of the different types
6 of communication methods. You can be using satellites and
7 cellular. Of course, cellular could be gone to. It depends
8 on how far you go. Pretty soon you've got a cup with a
9 string on it, but I mean at some point you know have maybe
10 microwave and other technologies that you can use. So it's
11 an idea especially to practice these different types of
12 drills and then really look at which are the most resilient
13 communications that you want to count on.

14 CHAIRMAN LA FLEUR: Well, the companies used to
15 have those -- what were they, megahertz systems and the
16 trucks with the push to talk before the cell phones.

17 MR. LAUBY: Yes. So it might be worth having
18 those on board. And I want to have people on each one of
19 the substations. How are they going to communicate with
20 those folks?

21 CHAIRMAN LA FLEUR: When you picture trying to
22 put the grid back together, it seems handy.

23 MR. LAUBY: Yes.

24 MR. POPIK: There's one instance where retaining
25 analog capability would be especially important and it's at

1 the large hydroelectric facilities. Those are almost
2 entirely plants that were built, say, 40 or 50 years ago
3 with original analog controls. Some of them have converted
4 over to digital, but if the old analog controls are still
5 left in place, and importantly, there's practice or drills
6 using the analog controls that could make a much more
7 resilient grid and that's, as you said earlier today, that's
8 one of the key words, how do we ensure resiliency, and one
9 of the ways is by keeping some of that old, resilient analog
10 capability.

11 CHAIRMAN LA FLEUR: I mean that was a stupid
12 example, but I'm sure everyone in this room has a manual can
13 opener somewhere in their kitchen.

14 COMMISSIONER HONORABLE: I mean it never doesn't
15 work. It always works. So whenever that electric one screws
16 up, and it always does -- sorry, whoever makes them -- I go
17 to that manual one.

18 MR. CLERMONT: But you're right. One of the
19 paradox of what you're talking about is one of the driver
20 behind going digital in our substation is the loss of
21 expertise on analog. All our technicians that were born and
22 worked for a long time retired -- with analog -- pieces are
23 retiring, so that loss of expertise is something that we're
24 concerned about and it's kind of giving an incentive to move
25 faster towards digital. And Mr. Popik's right. I mean all

1 of use our network infrastructure was not built all last
2 year, so we still have that, but we're losing fast the
3 expertise on that, the spare parts, and everything and
4 that's an incentive to go digital. But maybe we will revise
5 that, revisit that in the future.

6 CHAIRMAN LA FLEUR: Thank you.

7 MR. BARDEE: With that, we'll wrap up this
8 panel. I'd like to thank all of you for your time and for
9 your very thoughtful comments. Thanks. And we'll be back
10 at 3:15.

11 (Break)

12 MR. BARDEE: Our panel now is addressing the
13 topics of cybersecurity and the CIP standards and other
14 efforts that might be helpful in terms of better protecting
15 the grid from the risk of cybersecurity. So I will start by
16 turning to Marcus Sachs from NERC to lead us off.

17 STATEMENT OF MR. MARCUS SACHS

18 MR. SACHS: Thank you, Mike. Good afternoon.
19 Madame Chair and Commissioner Honorable, thank you for
20 having us and for the opportunity to appear before the
21 Commission and staff and others to discuss grid security,
22 also the work we're doing at NERC and with the electricity
23 EISAC to mitigate potential impacts to the Bulk Electric
24 System.

25 I think we all know that assessing risks and

1 assessing the security state is hard. It requires dynamic
2 of constant vigilance and agility. The threats continue to
3 evolve, particularly nation state threats as well as
4 criminal threats and others as society changes and as the
5 world dynamics change so do the threats, so that attention
6 to detail, of course, is very important.

7 At NERC we address cyber risk through a variety
8 of regulatory and non-regulatory means. Our mandatory CIP
9 standards, which you all are very familiar, are our
10 foundation for where we start with security. They provide
11 universal baseline protections, but because that
12 ever-evolving nature of threats standards alone cannot stand
13 up to that challenge. We have to do other things. We have
14 to have vigilance. We have to respond to these new and
15 changing events.

16 We also have at NERC the Electricity Information
17 Sharing and Analysis Center or EISAC, which serves as an
18 information-sharing conduit, which when the electricity
19 industry and the government for cyber and physical threat
20 exchange threat analysis and understanding what's happening.

21

22 The EISAC facilitates communication of important
23 or actual information and we strive to maintain what we call
24 the ground truth, the actual information about this rapidly
25 evolving security world. Together these mandatory

1 standards, effective information sharing, working together
2 provide a very robust and agile toolset to help us protect
3 the Bulk Power System.

4 In addition, we also work very closely with our
5 partners at the Electricity Subsector Coordinating Council
6 or the ESCC, very unique to our sector to have the CEOs
7 involved in security discussions and I think we have a very,
8 very, very strong public/private partnership that's
9 important to addressing this security world.

10 Let me just briefly walk through what we see as
11 -- and the EISAC has learned a lot about security over the
12 last couple years as we continue to grow and change, but
13 there's probably five major areas we're concerned about that
14 the grid needs to worry about and this is just cyber. I
15 think we all understand the physical challenges that are out
16 there, but we see a lot of cyber stuff that began years ago
17 with more of a reputation problem protecting websites -- you
18 know phishing, stealing domain names. That's an
19 inconvenience problem, but I think it's something that as
20 long we're very aware of it and we're tracking, certainly
21 it's something we can handle.

22 But we've also seen the criminal world move into
23 theft, both theft of intellectual property as well as theft
24 of value. This is the old FBI thing -- you know why do you
25 rob a bank. It's because it's where the money is. Well,

1 the electric grid is not a bank like financial services, but
2 we have a lot of value and we're certainly seeing a large
3 rise in cyber crime. And it manifests itself probably in
4 two different ways. One is the stealing of customer
5 information, credit cards, other things. The other would
6 be this new wave of ransomware that we're seeing. You're
7 all are very familiar with the Wannacry problem that we saw
8 globally about a month or so ago.

9 Again, that area, that theft of information and
10 theft of value as well as reputational theft, those are all
11 things we can understand. We can mitigate. It's a nuisance
12 problem. But where we get into the stuff that really
13 worries us with the grid is that folks are able to cross a
14 boundary and begin to manipulate control systems. That is
15 the growing concern area. It's largely been theoretical,
16 but we've seen through the Ukraine incidents and others that
17 the theory is now becoming practical and our adversaries are
18 very interested in some of the successes that they've seen.

19 We've done quite a bit of studies and have
20 released a number of white papers and have worked very
21 closely with others in our sector, many who are sitting
22 here, as well as other industries to better understand and
23 analyze what's going on. The worst case, of which we've got
24 very few examples, is beyond just disruptive like what we've
25 seen in the Ukraine, but destructive where you have an

1 adversary get in and actually break things, either logical
2 destruction causing the devices where they can't respond to
3 commands or physical destruction, such as spending device,
4 which the (0:04:37.1) Group had uncovered with Aurora many
5 years ago. I don't want to say that's right around the
6 corner, but that seems to be the next wave and that's where
7 we really need to be vigilant when it comes to
8 cybersecurity.

9 So I've got quite a few remarks in my written
10 testimony. I encourage conversation and questions. Look
11 forward to a vivid discussion as we move forward. Thank you
12 very much for the opportunity to be here today.

13 MR. BARDEE: Thank you, Marcus. Next, we have
14 Dr. Manimarun Govindersu, from Iowa State University.

15 STATEMENT OF DR. MAINARUN GOVINDERSU

16 DR. GOVINDERSU: Good afternoon. First of all,
17 I express my sincere thanks to the Commission for providing
18 me this great opportunity to be part of this panel. I'm a
19 professor at Iowa State University. I conduct research in
20 cybersecurity for the electric power grid.

21 As you know, modern grid is a complex cyber
22 physical system with incorporation of smart sensors,
23 communication networks, various controllers. They've
24 improved. They appreciate the availability and the
25 economics of the grid, but they're also increased the

1 attacks and risks of the grid for adversaries to exploit, so
2 we need to secure those attacks and risks. We need
3 minimize the attacks and risks.

4 So in recent years, the cyber threats have been
5 growing in numbers, also in sophistication. We know of
6 several incidents in recent years in the Ukraine and other
7 places. The legacy nature of the grid, coupled with the
8 slower adoption of operation technologies makes this problem
9 even harder.

10 So in this context, I would like to identify a
11 few R&D challenges and also they are related to policy as
12 well. One important thing is we need a holistic
13 cybersecurity framework that encompasses attack, deterrence,
14 prevention, detection, mitigation, resiliency and forensics.
15 We need to have a holistic as opposed to a comprehensive
16 framework. That also has to accompany with property at the
17 realistic metrics and tools and they are to be
18 operationalized and realistic environment.

19 The other important thing is risk assessment has
20 been talked today. The current cyber assessment is more
21 qualitative in nature as opposed to quantitative in nature.
22 And also they do not properly account the threat tactics.
23 If you look at risk assessment, risk involves threat times
24 vulnerability times the consequence. Threat modeling is not
25 well understood. It is more of an art than a science today,

1 so we need to better understand threats so that we have more
2 realistic risk models for cyber threats.

3 The third important thing is the current notion
4 of resiliency is a fault resiliency which has the notion of
5 N minus one contingency criteria. How do we transform the
6 current fault resiliency to attack resiliency to deal with
7 malicious adversaries who target multiple critical elements
8 -- coordinator attacks and so on. So paradigm shift from
9 fault resiliency to attack resiliency is important.

10 The other one is the innovation in IT outpaces
11 the operational technologies. There is always a catch up in
12 OD trying to catch up the IT. The adversaries have
13 advantage because they use IT tools and technologies. How
14 do we bridge this gap is very important. NERC compliance
15 has been very effective over the years. Continuous
16 improvement is important. While we make this continuous
17 improvement, it has to be to the extent very fine, the
18 effectiveness of the process, the technologies, and the
19 people who operate the system they all have to encompass
20 what has been in place. The challenge has been how do we
21 sustain it? The industries find it hard many times how to
22 sustain this compliance process.

23 The other important thing is how do we extend
24 supply compliance to distribution grid. Distribution grid
25 is not well -- or well protected against cyber adversities.

1 That needs careful attention. Grid exercise has been
2 growing in terms of industry participation and
3 sophistication of the scenarios. There is a need to
4 incorporate test-based experiments in grid exercise
5 scenarios.

6 Finally, workforce development is extremely
7 important. As I come from university, we imparted graduate
8 education, undergraduate education, industrial training,
9 hack-a-thon and so on. There are so many flavors of
10 education that can happen in which industry, university, and
11 federal agencies can collaborate together.

12 So finally, synergetic partnership among
13 industry, universities, and federal-funded national labs is
14 important, not only to advance the R&D in this important
15 area, but also to educate and train skilled workforce in a
16 sustainable manner for the future. That concludes my
17 remarks. Thank you again.

18 MR. BARDEE: Thank you, Doctor. Next, we have
19 Michael Assante from the Sampson Institute.

20 STATEMENT OF MR. MICHAEL ASSANTE

21 MR. ASSANTE: Good afternoon, Chairman LaFleur,
22 Commissioner Honorable, and staff. I thank you for this
23 opportunity. I'll summarize my remarks for brevity.

24 In addition to my experience as a CSO at AEP and
25 the first CSO at NERC, I'm providing these comments based on

1 my recent experiences with real world incidents involving
2 power systems and my understanding of the opportunities and
3 challenges developing industry standards.

4 I remain steadfast in my belief that properly
5 developed standards play an important role in establishing a
6 very strong foundation for future electric system
7 reliability and security. It is important, however, to
8 recognize that the standards cannot be formulated to fully
9 protect against all possible manifestations of future cyber
10 intrusion and attack.

11 The NERC standards have grown considerably in
12 both scope and effectiveness over their 14-year history.
13 While much has been done, there remains much to do. There
14 will always be a regulatory lag between the CIP standards
15 and current cyber threats. Acknowledging this lag, there
16 should be a focus to enhance emergency operations and
17 incident response requirements.

18 In this way, even if the standards do not
19 specifically require a control or mitigation for unknown
20 attacks of the future, the standard would still provide
21 guidance to facilitate a response and recovery. For these
22 reasons I believe additional modifications to CIP008 and
23 CIP009 should be a priority for industry consideration. For
24 example, required communication with the EISAC upon
25 identification of a potentially impactful incident rather

1 than upon an actual impact to a reliability service would
2 provide earlier visibility in an effort to protect other
3 utilities.

4 The requirements as they are today would be
5 comparable to a medical professional not sharing the results
6 of your routine medical tests or cancer pre-screening for
7 your awareness and early action, but instead waiting until
8 you had organ failure to alert you that you have Stage 4
9 cancer. The requirement is written at such a high bar that
10 few conclusions can be made or taken from the lack of
11 reports that we see.

12 Also, we need to learn from other NERC
13 reliability standards. I believe the standards need to
14 mature in three ways. One, require a similar level of
15 competency demonstration for the cyber defenders or cyber
16 operators, if you will, at the Bulk Electric System. Two,
17 acquire a level of response knowledge and capability of the
18 certified electric systems operators, ensuring an
19 understanding of appropriate responses to their systems
20 being misused. And three, develop the operating protocols,
21 tools, and capabilities to rapidly ascertain the risk of
22 continuing to operate parts of the system containing attacks
23 and developing approaches to measure the integrity of
24 systems if they're being returned to service.

25 There are many lessons to be learned stemming

1 from the 2015 and '16 Ukraine incidents. We need to move
2 beyond the question of whether similar attacks is possible
3 in the United States and instead shift our focus to
4 mitigation and response requirements with the expectation
5 that a similar or even more impactful attack could occur
6 here. Continued efforts from NERC focused on utility
7 exercises like Grid-x and Dewey-lead industry workshops and
8 private sector provided technical hands-on training will
9 continue to improve our overall capabilities and
10 preparedness.

11 This is a very encouraging area where I believe
12 NERC registered entities are moving far beyond the
13 requirements in the standards. Recently published reports
14 examining the 2016 Ukraine cyber attacks targeting their
15 country-wide transmission system operator, paint a picture
16 of an evolving threat. Analysis of the malware describes a
17 tailored tool for the purpose of causing electrical outages.
18 The flexible and modular tool possesses features that aid
19 the time in collapsing the time it takes to complete the
20 necessary steps to device and launch an attack that can
21 disrupt operations and potentially damage infrastructure
22 assets.

23 Also, it appears that the attacker interest in
24 system protection has moved from information gathering to
25 developing an initial capability to exploit both control and

1 protection. Threats like this demonstrate that we must
2 empower defenders with defensible environments, which the
3 standards do. To this end, though, industry also must have
4 the latitude to experiment and field new prognostic and
5 security technologies that can change the pace to catch up
6 to cyber attackers.

7 As an example, the Idaho National Laboratory and
8 industry partners are further building upon the industry's
9 great strength by developing engineering-centric assessments
10 and mitigation methods called Consequence Driven Cyber
11 Informed Engineering. The goal of this program is to
12 actually engineer out the worst cyber risk that the energy
13 infrastructure faces.

14 Finally, public reports of successful broad axis
15 campaigns and modular toolkits may indicate attackers are
16 becoming more focused on attacking larger numbers of devices
17 to cause widespread impacts. The positive evolution of CIP
18 standards have provided more protections to a greater number
19 of systems and this may need to continue.

20 So with that, I thank the Commission and staff
21 and look forward to our discussions.

22 MR. BARDEE: Thank you, Mike. Next, we have
23 Greg Ford from the Georgia Systems Operations.

24 STATEMENT OF MR. GREGORY FORD

25 MR. FORD: Good afternoon Madame Chair,

1 Commissioner Honorable. I appreciate the opportunity to
2 participate on the panel on behalf of NRECA and our member
3 cooperatives in Georgia. There are no single standard
4 requirement that stands out as the most effective
5 cybersecurity control. Instead, I believe it is the
6 interrelated nature of the controls that together provide a
7 defense in depth posture that makes the NERC CIP standards
8 effective.

9 The key aspects of CIP Version 5 was the
10 introduction of the cyber system impact categorization,
11 which has expanded protection to the entire Bulk Electric
12 System while acknowledging that not all facilities have the
13 same risk profile. While I have noted that standards work
14 together as a whole, it is important to point out that
15 Version 5 introduced controls that are consistent with a key
16 lesson learned from the Ukraine event. CIP Version 5
17 requires that all interactive remote access first pass
18 through an intermediate system and leverage multifactor
19 authentication.

20 In addition the CIP standards, internal controls
21 that the industry is adopting ensure compliance and more
22 aggressively mitigate security risks. We have internal
23 controls not only for CIP operations, but also for other
24 Bulk Electric System operations. We have embraced internal
25 controls as a part of our day-to-day operations to help

1 avoid mistakes and prevent cybersecurity breaches. At GSOC,
2 board-approved corporate goals measuring the implementation
3 and testing of these internal controls are a component of
4 our employees performance pay.

5 We urge restraint on pursuing new mandatory CIP
6 standards. We are still in the first year of CIP Version 5
7 and have not yet completed the implementation of some
8 requirements for low impact systems. Time is still needed
9 to fully implement these standards and absorb the lessons
10 learned from this implementation.

11 Further, we need to avoid thinking that
12 mandatory standards are the only path to improve security.
13 We believe that voluntary recommendations and actions should
14 lead before the mandatory standards because they are faster
15 to implement and more flexible to change. Organizations
16 such as the EISAC are well positioned to coordinate
17 voluntary recommendations to the industry.

18 We also recognize that as the cybersecurity
19 field continues to mature new technologies will be
20 introduced that could improve the overall security posture
21 of the grid. These new advanced security technologies will
22 no doubt come and go. By the time the new technology can be
23 incorporated into a mandatory standard, it may no longer
24 represent the state-of-the-art. The approach moving forward
25 must ensure that a solid security framework is in place, but

1 also enable us to be nimble in the face of an ever-changing
2 threat of our landscape.

3 During the first year of mandatory compliance,
4 we learned that some standards are taking a disproportionate
5 amount of time to execute. In particular, we highlight CIP
6 7 and CIP 10 baseline standards. While we certainly
7 recognize these standards are important, we believe that
8 improved security could be achieved if they focused on
9 having adequate controls in place to achieve the security
10 objective rather than specifying performance details.

11 For instance, the current patching requirement
12 dictates a specific process across all devices to assess and
13 implement security patches within a detailed timeline. An
14 alternative approach could be to focus on the security
15 objective of implementing a flaw remediation and
16 vulnerability management program with the flexibility to
17 recognize different areas of risk and apply resources
18 accordingly.

19 As our industry expands a culture of internal
20 controls, we need to continue to move towards an environment
21 where the focus of the oversight is on ensuring that
22 controls are in place to monitor and maintain compliance and
23 security. In this environment, deficiencies that are
24 detected and corrected by a company's control should not
25 result in a violation.

1 The Electric Subsector Coordinating Council is a
2 key coordination point between the electric sector, the
3 government, and other critical infrastructure, such as
4 telecommunications, oil, natural gas, financial services,
5 transportation, and water. The ESCC is working coordination
6 with the EISAC to bring these sectors together to improve
7 cross-sector awareness and facilitate cross-sector
8 exercises. The upcoming Grid-X4 exercise is just one
9 example of how the electric sector is committed to improving
10 the resiliency and ensuring cyber preparedness.

11 In conclusion, we appreciate the focus and the
12 effort of the Commission to improve the security posture of
13 the grid. The existing CIP standards mandate that necessary
14 elements of a solid foundation cybersecurity program and
15 have contributed significantly to the improved security of
16 our system.

17 I'd like to thank the Commission for the
18 opportunity to participate on the panel and I look forward
19 to questions. Thank you.

20 MR. BARDEE: Thank you, Greg. Next, we have
21 David Ball from AEP.

22 STATEMENT OF MR. DAVID BALL

23 MR. BALL: Good afternoon. On behalf of AEP,
24 I'd like to thank the FERC Commission and staff for the
25 opportunity to speak on this topic.

1 AEP applauds the efforts of the Federal Energy
2 Regulatory Commission in assembling this technical
3 conference on a topic so crucial to the reliability of our
4 nation's electric grid. AEP is one the nation's largest
5 electric utilities delivering electricity and customer
6 energy solutions to nearly 4.5 million customers in 11
7 states.

8 AEP owns the nation's largest electric
9 transmission system with more than 40,000 miles of network
10 transmission facilities. We operate 224,000 miles of
11 distribution lines and rank among the nation's largest
12 electric generators with 26,000 megawatts of capacity, which
13 includes 3200 megawatts of renewable energy.

14 Cybersecurity, like all security, issues is of
15 paramount importance at American Electric Power. We have a
16 robust cybersecurity program at AEP, one that is under
17 continual evaluation for process improvements. We are in
18 constant contact with our state and federal regulators and
19 our regional reliability entities to ensure that we are
20 current on all threats that face us so we can institute the
21 best possible protections.

22 AEP would like to thank FERC and NERC for the
23 standards created and enforced in the area of cybersecurity.
24 The standards serve as a starting point help drive a common
25 framework for the cyber and physical security protections in

1 which AEP engages. The checklist of NERC standards is a
2 solid foundation, but if we were to engage in those
3 activities and nothing more our Bulk Electric System could
4 be seriously at risk.

5 AEP engages in many voluntary actions to improve
6 both the overall cyber and physical security of our system
7 that is part of our large Bulk Power System. These are
8 precautions and protections we implement because they are
9 the right thing to do.

10 You asked about specific protections and asked
11 us to relate our practices to internal crisis that have
12 arisen in the past few years, most specifically, the attacks
13 on the Ukraine electric grid. Speaking to the 2015 Ukraine
14 cyber attack, security regulations already in place in this
15 country would prevent such an attack from occurring here.
16 The attackers in the Ukraine incident infiltrated the cyber
17 systems and observed work patterns and practices for months
18 before seizing control of the Ukraine grid. Their efforts
19 were enabled by the fact that the business systems and
20 operations systems were integrated. This mixing of
21 functions violates U.S. regulations.

22 Because our systems are separate, an attacker
23 could not hack into the business functions of U.S. grid
24 operations as a means of access to operational systems. For
25 example, standards for patching, configuration, change

1 management, and malicious code prevention have driven
2 industry to implement a framework of controls to protect our
3 critical system from vulnerabilities and exposure to cyber
4 attacks such as Wannacry attack in May of this year.

5 The CIP standards also have helped in
6 restricting communications in and out of our SCADA networks,
7 which we saw exploited in Ukraine in 2015. Also, we require
8 intermittent systems and multifactor authentication to
9 ensure only authorized personnel and communications can
10 access our SCADA network.

11 We need additional transparency and consistency
12 in the auditing process. Currently, different regions view
13 standards differently and we sometimes are challenged by
14 those inconsistencies as we strive to meet the demands of
15 three regional entities. Additionally, when problems are
16 revealed during the auditing process those issues need to be
17 transparently outlined in an audit report issued by the
18 regional entity. Transparency and consistent terminology in
19 communicating violations would greatly enhance the benefits
20 of these audits.

21 Another area to consider related to consistency
22 is our frequent standard revisions. This presents a risk as
23 the resources needed to improve and maintain cybersecurity
24 often are consumed with keeping compliance processes
25 up-to-date to reflect standard revisions. For the past two

1 years, the industry has been advocating for increased
2 screening processes for new hires in the cybersecurity
3 arena. Currently, background checks are conducted by
4 third-party vendors using publicly available data.

5 To increase security of the grid, we should be
6 able to access fingerprint records housed at the Federal
7 Bureau of Investigation. This would not necessarily need to
8 be a standard practice for utility new hires, but could be
9 restricted to those working in critical infrastructure and
10 Bulk Power System positions. The industry would benefit
11 greatly from the Commission's support in this endeavor.

12 In conclusion, I would like to reiterate that
13 AEP is fully committed the security of the electric grid as
14 discussed above, consistency and transparency and NERC
15 requirements would help facilitate our compliance, support
16 from the Commission as we advocate for FBI assistance in
17 background checks of new employees would be helpful, and
18 strong communication and relationships between the
19 Commission and the states would be beneficial as we work to
20 ensure the security of the grid.

21 Again, we appreciate the opportunity and I look
22 forward to your questions.

23 MR. BARDEE: Thank you, David. Next, we have
24 Nathan Mitchell from APPA.

25 STATEMENT OF NATHAN MITCHELL

1 MR. MITCHELL: Thank you. I want to thank the
2 Commissioners and FERC staff for inviting me to participate
3 in this technical conference on grid security. I am here
4 representing the over 2,000 municipal and state-owned
5 electric utilities that make up public power.

6 I would like to remind the Commission that APPA
7 and its member utilities have supported the work of the
8 industry-led standard drafting teams in their efforts to
9 develop risk-based standards through the NERC standard
10 development process. These standards provide a needed
11 baseline of cybersecurity controls to protect the Bulk
12 Electric System; however, we cannot continue to write new
13 standards to address every threat. APPA believes that the
14 CIP standards need to reach a steady state.

15 We are encouraged by FERC staff's recent request
16 for input on how standards can be made more efficient while
17 maintaining their effectiveness. APPA stands ready to
18 assist the Commission with its request to right size the
19 standards to make them less burdensome on industry.

20 Please don't take my suggestion as an indication
21 that we should not continue to protect our system from
22 ever-increasing cyber threats. I believe that more can and
23 should be done to address the cyber risks to electric
24 utilities, but these efforts should be focused on voluntary
25 programs outside of the NERC standard development process.

1 I would like to highlight one voluntary program being
2 developed to help public power utilities address cyber
3 risks.

4 As I provide a description of these efforts, the
5 Commission should recognize that it meshes with other
6 industry, government, and university efforts discussed by my
7 fellow panelists and to make up a community approach to
8 cybersecurity. APPS has partnered with the Department of
9 Energy to undertake an extensive, multi-year, multi-task
10 project of improving the cyber resiliency and security
11 posture of public power utilities.

12 In this project, APPA is providing public power
13 utilities with an array of security tools, technologies, and
14 programs so that the community is better able to understand,
15 install, and implement new cybersecurity programs.
16 Importantly, this project will bolster the programs for many
17 small utilities that do not own or operate bulk electric
18 system assets and thereby, not registered with NERC.

19 First, we have developed a simplified maturity
20 model as a tool for small utilities to understand the
21 characteristics of a mature cybersecurity program. The
22 maturity model will help public power utilities enhance
23 their cybersecurity program based on their organizational
24 structure risk profile. The project has begun to evaluate
25 information-sharing tools and technologies that will improve

1 threat information sharing between utilities and the EISAC.
2 Recommendations will be developed on how best to
3 characterize, assess, disclose, and disseminate secure
4 threat information that is useful and useable for public
5 power utilities.

6 And I believe that workforce development is
7 essential to ensuring that public power utilities have the
8 proper human resources to manage their cybersecurity
9 programs. Public power utilities often face difficulties in
10 identifying and recruiting qualified cyber and physical
11 security candidates due to their location and/or size.
12 Working with universities, community colleges, and other
13 educational and training institutions across the nation, we
14 will explore the development of educational programs that
15 meet the staffing needs of a typical public power utility.
16 We will then evaluate if online opportunities can be
17 developed so that they can be easily accessible to remote
18 communities.

19 I look forward to the comments of the other
20 panelists on how we can educate our current and future
21 workforce to address these cybersecurity challenges.

22 Finally, the industry needs a robust cyber
23 incident response plan. APPA plans to develop a model
24 playbook which will address potential roles and
25 responsibilities within small public power utility to

1 respond to a security incident. In many small utilities,
2 one person has many roles and responsibilities. As such, a
3 step-by-step playbook on what actions to take first, who to
4 coordinate with, and other types of response activities will
5 supplement existing natural disaster mutual aid programs.

6 I refer the Commission to the other industry
7 incident response playbooks, such as the one created by the
8 Electricity Subsector Coordinating Council, as a model for
9 the public/private partnership needed to respond to a
10 national level event. I believe that APPA's voluntary
11 cybersecurity program will help improve the overall
12 cybersecurity posture of public power utilities and the
13 Bulk Power System.

14 I appreciate the opportunity to provide these
15 comments and look forward to your questions.

16 MR. BARDEE: Thank you, Nathan. Next, we have
17 Commissioner Robert Scott from the New Hampshire PUC.

18 STATEMENT OF COMMISSIONER ROBERT SCOTT

19 COMMISSIONER SCOTT: Thank you. And Chair
20 LaFleur and Commissioner Honorable and staff, I appreciate
21 the opportunity to speak. It's always good to see you
22 again.

23 I speak today as a Commissioner for the New
24 Hampshire Public Utilities Commission. In one week, I will
25 be the Commissioner for the Department of Environmental

1 Services for New Hampshire; however, I want to make sure
2 that the Commission is aware, recognizing the importance of
3 the work that's been going in New England. The governor's
4 asked me to also act as the special advisor on critical
5 infrastructure for cybersecurity, so in the context of no
6 good deed goes unpunished, I get to do that work also. So
7 in that context, I hope to still be able to engage with you
8 and your staff.

9 Again, speaking as a state regulator, I also
10 wanted to thank you for allowing and bringing the state
11 perspective to this panel also. I think that's an important
12 one. And I'll state the obvious, at least from my point of
13 view. Obviously, the Bulk Electric System is very important
14 to us all. However, as I'm sure you're aware, that the
15 distribution systems also present a threat to the Bulk
16 Electric System, so we need to work together in that
17 capacity. Or to put it another way, obviously, NERC and
18 FERC regulate the wholesale side of things, but unless the
19 state regulators are involved in an effective way and the
20 distribution utilities are involved in an effective way I
21 don't think we get where we need to go. Certainly, any
22 artificial boundary like that is not going to be recognized
23 by the adversaries that we're looking at for cybersecurity.

24 Our experience in New England demonstrates this
25 interdependence. What we found is in working with our

1 partnerships that we've developed cybersecurity for our
2 largest distribution utilities and the transmission owners
3 are basically one in the same, so they're centrally managed,
4 rightly so. It's generally the same staff and the same
5 systems, so it's very hard, at least in New England, which I
6 don't think is that unique to differentiate the two nor
7 should there be.

8 In that context, I have some recommendations to
9 point to, based on our efforts in New England. First and
10 foremost, is the important of partnerships, we partner with
11 the National Guard in the region, with the Department of
12 Homeland Security, particular, the INA side of DHS.
13 Certainly, FERC, the Office of Energy infrastructure
14 Security has been a great asset for all the states, ISO New
15 England, and to a lesser extent the FBI and Department of
16 Energy.

17 I'll highlight. We've talked in your
18 supplemental notice and some of the other panelists have
19 talked about the Ukraine incidents that are going on, which
20 are very concerning. Another incident which raise light in
21 New England and thankfully it wasn't -- I don't want to say
22 it wasn't real, but it was over -- incorrectly reported it
23 was Burlington Electric situation.

24 That highlighted to me anyways as a state
25 regulator the importance of those partnerships and the

1 importance of having relationships already. So we had in
2 that situation -- I'm not going to characterize it as good
3 or bad, but we had a governor make some very strong
4 statements. So the governors need to know what to say and
5 what's going on. I know, for me, I received a call. I was
6 shopping Saturday morning and I got a call from the
7 governor's office what's going on. And thankfully because
8 we have these partnerships I was able to say I've already
9 been in contact with these people. They're on the phone now
10 with EISAC and yes, it's all under control. We're good to
11 go. Those things are important to states.

12 So the other part of that, and again the
13 Burlington Electric incident provided a good insight for the
14 need of this is we need to exercise these things. So again,
15 FERC, OEIS has developed some checklists that helped with
16 the states in New England that we've been looking at. That
17 has now set us up so that we can now start to conduct some
18 exercises. So again, you don't know what you don't know
19 until you start going through these types of scenarios.

20 Last week, with the National Guard, we had state
21 regulators. FERC had staff there. New England Utilities,
22 ISO New England were all participating in the New England
23 National Guard Cyber Yankee Event, so that was yet another
24 way you taking it to the next level of working together and
25 understanding each other.

1 Another point I'd like to raise is security
2 clearances. As the Commission's aware, a few years ago New
3 England was in a very unique position as we had three state
4 commissioners from three different states, myself included,
5 with top secret or above clearances and we knew how to spell
6 the word "cyber." So in that context, we were able to have
7 discussions with the intelligence community, with our
8 partners in Kansas, among others, as well as to start to
9 talk to our utilities on the importance of collaborating on
10 a classified level.

11 That resulted in New England of we've actually
12 hosted in New Hampshire. We've been able to host a meeting
13 of those obviously appropriately cleared to bring utilities
14 and regulators in so that they could share information with
15 each other, talk about common experiences at that level.
16 That's something they haven't really been able to do in the
17 past with that. Also, this experience has also allowed us
18 to start to work to get higher level clearances for
19 appropriate utilities, so we feel that's an important
20 consideration moving forward.

21 Workforce development, again, New England's been
22 taking a regional approach, understanding that we're all
23 interconnected, especially in New England. The State of
24 Maine, as part of our regional effort, is actually hiring a
25 gentleman July 3 who was working with Cyber Command. He's

1 retiring. He has the credentials and clearance, et cetera.
2 He'll be working certainly as a State of Maine employee, but
3 he'll also be a regional asset to our efforts.

4 Having said that, that's kind of a work around
5 what I think the Commission surely understand. At the state
6 level, we're generally not staffed for these types of
7 things. We don't have the expertise. We have accountants.
8 You know we're here to be -- regulators and this is a new
9 ground for us. So NARUC's done some groundwork, which has
10 been very helpful, but that's something else that continues
11 to need -- I think will need help because I don't believe
12 this issue is going away.

13 Finally, again, I want to put a shout out to the
14 FERC Office of Information Security -- Office of Energy
15 Infrastructure Security. They've been a really great
16 resource for our states and if we've called they've been
17 very responsive to us, so I want to throw that out as a best
18 practice. Perhaps other agencies could do the same.

19 So with that, I'll close my remarks.

20 MR. BARDEE: Thank you, Commissioner. And
21 Brandon Wales from DHS.

22 STATEMENT OF BRANDON WALES

23 MR. WALES: Thank you. Good afternoon, Madame
24 Chair, Commissioner Honorable and assembled staff. Thank
25 you for the opportunity to address you today on behalf of

1 the Department of Homeland Security National Protection and
2 Program Directorate.

3 MPPD leads the national effort to protect and
4 enhance the resilience of the nation's physical and cyber
5 infrastructure. And within MPPD, I oversee the Office of
6 Cyber and Infrastructure Analysis, whose mission is to
7 provide analytic support to our collective efforts to
8 strengthen the security and resilience of our
9 infrastructure and respond and recover from natural hazards
10 and manmade events.

11 My testimony today will focus on two issues of
12 interest in response to the questions posed to the panel.
13 The first issue covers the need for traditional electrical
14 utility planning activities to embrace cyber-base
15 contingencies and the second issue focuses on the efforts of
16 the Department of Homeland Security to increase and enhance
17 information sharing and analysis activities with the
18 electric sector.

19 First, as electric utilities adapt and increase
20 their use of industrial control systems to automate and
21 increase the efficiency of operations, cyber-related
22 consequences of adoption of new practices and procedures
23 should be carefully studied and evaluated to understand the
24 potential impact of their loss or disruption to reliable
25 operation of the electrical grid.

1 Cyber hazards do not have as well characterized
2 likelihood and consequences to critical infrastructure
3 assets and systems and cyber events can simultaneously occur
4 over large geographic areas without respect to traditional
5 boundaries of electric system operation or control. These
6 events will stress traditional emergency management and
7 response procedures designed to contain and constrain system
8 problems.

9 To understand potential system impacts, a
10 natural evolution may be for system planners to create a
11 number of cyber contingency cases which could incorporate a
12 variety of cyber threats that could affect system monitoring
13 or communications and affect infrastructure operations.
14 Cyber scenarios should have characteristics distinct from
15 current hazards to challenges the utility's understanding of
16 the degree of the impact possible from cyber events.

17 Second, the Department of Homeland Security
18 works with partners at all levels of government and from the
19 private and nonprofit sectors to share information and build
20 greater trust to make our cyber and physical infrastructures
21 more secure. This includes sharing information through
22 platforms such as the Critical Infrastructure Advisory
23 Council, the Electric Subsector Coordinating Council, and
24 the Department's Physical and Cybersecurity Operation
25 Centers, the National Infrastructure Coordinating Center,

1 the NIC, and the National Cybersecurity and Communications
2 Integration Center, the NCSCIC. Information released by the
3 NCSCIC and NIC maybe subsequently shared to the electric
4 subsectors, owners, and operators through the Electricity
5 Information Sharing and Analysis Center.

6 One of DHS's most prominent initiatives to
7 enhance information sharing between the federal government
8 and private sector that I would like to highlight is called
9 Automated Indicator Sharing. AIS connects participating
10 organizations to a DHS management system at the INCIC that
11 allows bidirectional sharing of cyber threat indicators,
12 helping to build the common, shared knowledge of current
13 cyber threats.

14 AIS is a part of the Department's efforts to
15 create an ecosystem where as soon as a company or federal
16 agency observes an attempted compromise the indicator will
17 be shared in real time with all of our partners, enabling
18 them to protect themselves from that threat. This means
19 adversaries can only use an attack once, increasing their
20 costs, and ultimately reducing the prevalence of such
21 attacks.

22 Another initiative to facilitate information
23 sharing is the Cyber Information Sharing and Collaboration
24 Program, which enables the sharing of cybersecurity threat
25 information in a secure fashion with entities across

1 critical infrastructure sectors. CISCP, as it is called,
2 provides for analytic collaboration between DHS and
3 participating entities, and when appropriate, allows
4 participating entities to embed analysts on INCIC watch
5 floor. These efforts are designed to feed and complement
6 energy sector initiatives that were highlighted in Mark
7 Sachs' written testimony.

8 Future cyber events may not directly target
9 electric power owners and operators, but may impact
10 connected infrastructure systems, which the Bulk Electric
11 System depends to ensure reliable operations. As our
12 information technology systems become further
13 interconnected and interwoven, disruptions will no longer be
14 limited to a single infrastructure asset or system with
15 consequences potentially far-reaching.

16 The issues I have raised here today are complex
17 and don't lend themselves to the easy, silver bullet
18 solutions. The Department of Homeland Security is committed
19 to working with FERC and our partners in the electric sector
20 to begin working these and other challenges facing the
21 systems that power our country.

22 Thank you and I look forward to your questions.

23 MR. BARDEE: Thank you, Brandon. We'll start
24 our questioning with Commissioner Honorable.

25 COMMISSIONER HONORABLE: Thank you, Mike, and

1 thank you gentlemen for your perspectives. I have a lot of
2 ground I'd like to cover, but first I'd like to start by
3 thanking each of you for the value you bring to this
4 important work and I think we end it on an important note
5 about focusing on the importance of this work and how much
6 more challenging it was.

7 I remember, and I've been hearkening back to my
8 state regulator days, but I remember we had a physical
9 attack on our grid and that was my first encounter with the
10 Joint Terrorism Taskforce and the friends that we have at
11 the Department of Homeland Security thank you for your work.
12 And I was able when I NARUC president to participate on the
13 Electric Subsector Coordinating Council.

14 Also, Brandon, your colleague, John McClain
15 sends me your daily updates, so thank you. I am well
16 informed about the world of cyber, but it's a shame the
17 state of affairs these days requires that, but it absolutely
18 -- going back to Marcus's point, requires our vigilance that
19 we're aware and that we're equipping ourselves with the
20 tools to lead and to lead well.

21 Bob, I mentioned earlier today for our work with
22 our state colleague, thank you. And I recall when I signed
23 up to be a Commissioner, and I know it's the same for you;
24 you had no idea about all of this part of it. And now
25 you're going over -- thank you for your service -- to

1 another job and the governor's managed somehow to get you to
2 do both at the same time. Thank you for saying yes because
3 this work is so important. And men and women who have your
4 experience and expertise are few and fair between, so thank
5 you for saying yes. Your state colleague, the region will
6 benefit, but also we will as well. So thank you for coming
7 back for more.

8 I'm really pleased to end with this session
9 because I think your perspectives have really covered the
10 gamut of the fact that we are all working so hard on a
11 number of aspects of grid security.

12 And I want to start with, Marcus, you talked
13 about -- and thank you for your discussion about the threats
14 and how different they are and it's important that we not
15 lump all of them into one. We tend to talk about cyber
16 generally when there are a number of aspects about that work
17 that we need a singular focus.

18 But you spoke about ransomware and disruptive
19 threats. I wanted to focus on the crash override malware
20 because you all recommended steps that utilities need to
21 take to protect themselves and I appreciate your work along
22 with DOE and our Office of Energy Infrastructure Security to
23 really study what occurred in Ukraine to make sure it
24 doesn't happen it here, and if we do have a threat or an
25 attack, how we can quickly rebound. And I want to ask you

1 to just highlight some of the challenges that were presented
2 by this malware and the strategies that we can employ to
3 fend against that.

4 MR. SACHS: Thank you, Commissioner. That
5 malware was interesting. First, we were not aware of it in
6 the United States until a Friday and others were aware of it
7 maybe two or three weeks earlier and it was not something
8 widely known by any means. But do a good, strong
9 public/private partnership on a Friday afternoon many of us
10 working the weekend were able to get information out on
11 Monday morning.

12 The group that discovered it in Europe had
13 already planned to do a release to the media on their own.
14 That group found a group in the United States, another
15 private sector organization. They asked them would just
16 please review what we're doing to make sure we're not saying
17 anything technically wrong. That U.S. group said, well, if
18 you're going to go live in the media, we need to activate.
19 You know put up the bat sign to get people involved, so it
20 was a very strong effort that just came together because the
21 partnerships were in place. That if we didn't have those
22 partnerships already existing, we would've failed that
23 weekend and you would've had a media splash on Monday
24 morning that none of us would've been ready for.

25 So the malware itself I don't know that we

1 necessarily need to focus on the ones and zeros of the
2 malware.

3 COMMISSIONER HONORABLE: We don't. I just want
4 to get your takeaways about it.

5 MR. SACHS: Absolutely. And I think there's so
6 much more to learn about our adversaries. So when this
7 malware was found, it is showing us new techniques, tactics,
8 and procedures, or TTPs that again are long and theoretical,
9 but now we're actually seeing it in software where an
10 adversary who can build a modular tool, as we like to call
11 it. It's almost like a Swiss Army knife. You've heard that
12 analogy used.

13 COMMISSIONER HONORABLE: Yes.

14 MR. SACHS: Where this thing can be customized
15 for different types of targets. It can lie resident
16 undetected. It looks like regular software, but yet, it has
17 a little evil bit to it. So instead of looking for
18 signature, which is our typical way of looking for it,
19 strings, ones and zeros, IP addresses, we now need to look
20 more for behavior-based signatures. Things that aren't
21 working like they're supposed to, which then requires a much
22 deeper knowledge of what is it supposed to be doing, what is
23 baseline, what is normal, and then being able to recognize
24 what is not normal and then quickly determining is that a
25 human error causing it to be not normal or is it something

1 we don't understand, which then they say, oh, we have a
2 cyber problem going on.

3 And so this is going to require again another
4 level of thinking versus just looking for signatures and
5 malicious code, which is what we've really been doing a lot
6 of and we're getting good at it, but it doesn't stop there.
7 Again, I was thinking about agility. We have to keep
8 rethinking how we think about security.

9 COMMISSIONER HONORABLE: Indeed. I don't know
10 if anyone else wants to chime on that point, but if not, I
11 will move onto the next one.

12 In thinking about your point about the
13 partnerships, and it's similar to what Bob Scott mentioned
14 about the call he got and because of his networks he was
15 able to respond quickly about what was occurring, I want to
16 emphasize the global nature of this work. Thank you for
17 mentioning that.

18 I often say energy is global. That's why our
19 work and why we invite our international colleagues here.
20 We're working on the same issues. We're working on the same
21 challenges and in particular in the grid security space, in
22 the cyber space that's especially important. So I thank you
23 for cultivating and nurturing that climate.

24 And to Bob Scott's point about lessons learned
25 about that Burlington incident, I wanted to say that, yes,

1 we learned the importance of being prepared to respond, as
2 Marcus just mentioned, being prepared with what we need to
3 say in the media and what we don't. But another thing is
4 something you mentioned and that's ensuring that we have a
5 strong partnership. And I think, honestly, and I'll say it,
6 for our part in the federal government we had some missteps
7 too in that incident. And I think we can all learn from
8 that and our goal should be inspire and strive for trust and
9 for our ability to work well at all times. So I appreciate
10 that you were candid about your takeaway. I want to be
11 candid about us too, so we'll have to learn to trust and
12 protect when industry provides us with information
13 voluntarily that we keep it, as we should and as we've
14 promised.

15 I want to turn also to the workforce question.
16 Greg Scott and Mr. Ball thank you both because you've talked
17 about workforce strategies.

18 Greg, you spoke about performance-based metrics
19 with compensation. Hello, that gets everybody's attention.
20 You start messing with my money, then I'm going to pay
21 attention and what the hoops I have to jump through. That's
22 important. And I want to ask others if you have grid
23 security related performance metrics in your places of work,
24 so think about that.

25 But also, David Ball mentioned your workforce

1 component as well and I want to tell you both how much I
2 appreciate that. It's more than just us going to meetings
3 and giving speeches and hearing lectures and reading
4 studies. This is about making sure our men and women are
5 trained because we're only as safe as the weakest link.
6 That applies to our facilities and it applies to manpower
7 too, so I was very pleased about staff's question for you.
8 What can the Commission do to facilitate or encourage a
9 strong cyber workforce?

10 I think about that internally. What are we
11 doing to make sure that our staff is trained? We have
12 trainings that focus on not clicking through on that darn
13 thing we know we don't need to click on? What does that
14 also elate to with regard to hiring the best? That's a
15 great story about Maine snagging the gentleman that's
16 retiring. Those folks are few and far between as well.

17 How can we ensure in the same way that we're
18 hiring the best market operators, transmission planners,
19 that we're hiring skilled people who are equipped to help us
20 secure the grid? So two questions, one is about your
21 strategies where you are about making sure that grid
22 security is a priority and then what are you focused on
23 externally for hiring talent.

24 And I think we're getting feedback, so if you
25 aren't speaking, please turn off your microphone. Thank

1 you.

2 MR. FORD: Thank you, Commissioner Honorable,
3 for that acknowledgement on our performance and how we
4 handle things. When we started with this route 10 years
5 ago, of course, security and reliability is important to us
6 all. It was very important to us as we saw this culture
7 changing we wanted to try to get ahead of it and we felt
8 like there was no better way to get people's attention and
9 get the culture in the right frame of mind in putting
10 performance pay type of activities in that loop.

11 So every year we have always had measures or
12 metrics that were related to performance pay. And when
13 you're talking about changing to the culture of
14 cybersecurity years ago -- 10 years ago, I'll be the first
15 to admit cybersecurity to me was getting my antivirus
16 updated on my computer and that was it. Today it really
17 consists of various things, starting, one, with your
18 people. You have to train. You have to make them aware of
19 things. You have to continue to hit those exercises to get
20 them to the right behavior that you want, phishing
21 exercises, for example. Don't just do one phishing exercise
22 a year. Do 10, 15, every how many it takes to get that
23 culture to start looking at those external emails
24 differently and not clicking on links.

25 Processes, the standards are a big part of that

1 and our internal controls. Now we know and have knowledge
2 of our inventory. We have controls around protecting those
3 assets. We're concerned about the isolation factor of
4 whether we're using data diodes or physical air gaps,
5 whatever the case may be. We have patching processes. All
6 of these things change the culture to help us look for these
7 malware detections and intrusion detections.

8 And lastly, is our technology and I think we're
9 now moving into that phase of our process, which is making
10 sure our vendors give us good, high quality technology of
11 our computer systems so that we can bring all this together
12 as one business unit to support our system. So we've been
13 doing it for a while that way. As far as our performance,
14 it was geared towards changing that culture. From the
15 building and workforce perspective or question, that is
16 always a tough one because the electric utility 30 years ago
17 was the place to go to out of college. Today it's harder
18 and harder to pull those college students, so we're always
19 looking for ways that we can help encourage that.

20 Once we have them in place, the Department of
21 Energy, Department of Homeland Security, Department of
22 Defense, they have very good, knowledgeable people at
23 getting training. The industry can learn from getting
24 training from those organizations as well. I would ask for
25 the Commission consider helping us foster that along even

1 further than what we've done.

2 COMMISSIONER HONORABLE: Thank you. And I hope
3 we'll accept that challenge because we do a terrific job, if
4 I might say so, of working with our state colleagues, with
5 industry. If I go out on a tour of a construction site and
6 if I see something that's maybe not quite right -- I'm not
7 an expert, but I might kindly say would you all be open to
8 an architectural review? I might mention it to Joe and to
9 Dave and we've really fostered some great relationships that
10 way. It's not a "gotcha" exercise. It's our way of really
11 helping to strengthen your physical security, your
12 infrastructure, your grid security and so it helps us all.

13 So I think you're right in that we can always
14 find new opportunities to support the work that you're
15 doing. And we, too, are challenged with that. We happen to
16 rank really high for attracting millennial to our agency and
17 we're proud of that. But then, some of you guys like to
18 pick them off after a few years, so it's an ever-evolving
19 thing for us.

20 Is there anyone else that has a comment? Yes?

21 MR. BALL: In our written testimony, we referred
22 to hybrid skill sets in cybersecurity and this may be
23 something that Michael can expand a little bit on as well,
24 but it's easier to find individuals who are familiar with
25 cybersecurity when it comes to traditional IT and

1 Windows-based infrastructure. The more difficult skill set
2 to find today is individuals who have a power systems
3 background who is familiar with the OT technology and
4 understands what it means to build cybersecurity into the OT
5 network. And for us, inside of AP, that would be our SCADA
6 network.

7 COMMISSIONER HONORABLE: Commissioner Scott?

8 COMMISSIONER SCOTT: Again, from the microcosm
9 of New England, I just did some math here. Out of the five
10 major utilities that we've been working with in the past
11 four months there's been four staff changeovers. You know
12 four key people that we were working with say, okay, I'm
13 leaving. And the good news is the utilities are committed
14 to this, so they're able to say, okay, here's the person
15 who's going to replace them. But again, I'm not sure, but
16 my guess is when you have people of these types of skills
17 are very marketable and they're very mobile.

18 Having said the obvious, and you've worked at a
19 commission at the state level, we can't hope to attract with
20 other people. And I mentioned the Maine experience. That
21 was the stars aligning just right, so you had a gentleman
22 who is not for the money. He wants to relocate to a certain
23 area. He has a retirement, so we're able to capitalize on
24 that, but that's a big challenge for the states. We can't
25 attract and retain the people with those types of skills.

1 COMMISSIONER HONORABLE: And I appreciate that.
2 And honestly, I'll admit this; I've called people and said
3 enough. You've taken enough of our people after the third
4 swipe. One of them may be sitting in the room today, so I
5 won't say the entity, but I did call and say enough already
6 now. We've got work to do too. Leave us some of our good
7 people. But it is a challenge for us and this isn't a fluff
8 issue for me.

9 When I came to FERC, 40 percent of the energy
10 sector was eligible for retirement. When you think about
11 this most important function of ensuring it's security and
12 it's safe, and I just said it in a speech a couple of days
13 ago, what's the point of having affordable, diverse energy
14 if it's not safe and secure. And so the work that you're
15 doing and our efforts to attract people to carry it out is
16 key. And I'm preaching to the choir, but I appreciate that
17 you've taking the time to share your experiences. Anyone
18 else?

19 MR. ASSANTE: I would just add that coming from
20 a training organization it's important to note that power
21 utilities are the leading sector in industrial and
22 infrastructure area training their staff, and the training
23 goes to the place where we've seen automation professionals,
24 power engineers, even dispatchers receiving cybersecurity
25 training in order to understand that in lead teams. So

1 we've definitely seen that from the electric sector.

2 I do think the standards and the awareness and
3 the industry's understanding of its importance to
4 reliability has driven that. And I would say that the grid
5 exercises is also an incredible forum which has brought both
6 the engineering disciplines and the IT support and OT
7 ICS/SCADAS support groups together to deal with multi-facet
8 scenarios.

9 And in my testimony where I called for having to
10 deal with things like operating protocols, one of the things
11 that Ukraine taught me for sure was that the attack was
12 absolutely structured in 2015 against the dispatchers. They
13 lost the UPS and lighting and their phones in their own
14 control centers and it was very clear that understanding
15 that. And I do believe the grid exercise platform has been
16 an incredible to industry and government partnership in
17 order to be able to accomplish some of that learning,
18 understand it, digest it, and develop the protocols that
19 we'll need to deal with these types of things.

20 COMMISSIONER HONORABLE: I often say there but
21 by the grace of God we go, and so we have the benefit of
22 learning from that and employing it in our operation
23 centers.

24 MR. SACHS: Let me just make two quick points.
25 One is that this is fortunately not a new problem. I can

1 recall as early as 1999 when the Defense Department was
2 first wrestling with what do we do about cybersecurity
3 outside of the classified world, that one of the questions
4 brought up immediately was what do we do about SCADA and so
5 the term was in popular use almost 20 years. And we knew
6 that there was growing issue and we knew there was a
7 workforce problem.

8 This may have been talked about, this Grid-X
9 thing that we do every couple years I think is so unique to
10 us, but we're also seeing in the educational world a growing
11 number of colleges, universities, and even high schools that
12 are doing security-type exercises. And we're seeing this
13 begin to grow almost organically, almost like sports,
14 soccer, baseball, other things, very competitive.

15 This is good news and it's something we need to
16 leverage and enhance and really kind of make it an all
17 American thing that getting involved in cybersecurity as a
18 career field early is absolutely what we want these young
19 kids to do. Don't wait until you're 30 or 40 to discover
20 cybersecurity, but discover it when you're 13 or 14 and
21 really just dive into it.

22 COMMISSIONER HONORABLE: All I can say to that
23 is Amen. And I spoke at an event in Houston maybe last year
24 and an eight-year-old asked me about cybersecurity and it
25 blew my away, but I thought kudos to you guys. I mean

1 someone has been talking about in a way that got the
2 interest of an eight-year-old and that's what we need, so I
3 couldn't agree with you more, and I won't say another word
4 after that.

5 MR. GOVINDARASU: Just a quick comment, I think
6 these are excellent points. As you know, the cybersecurity
7 for the grid is an interdisciplinary field. We need to
8 educate engineers, our future students who are featured in
9 -- bringing both the cyber and physical flavor. I think a
10 lot of universities have education program in cyber physical
11 security for the grid funded by DOE, National Science
12 Foundation, and so on.

13 As part of an effort, there are also
14 hack-a-thon, cyber difference competition creating markup
15 similar to the grid exercise. Those things are happening.
16 Those are very well-established efforts. But the critical
17 thing for both things to be successful is
18 industry/university partnership. Universities they do
19 things well with the education, but they need to understand
20 the real, practical scenarios and those partnerships need to
21 be center, but there is a lot more to happen.

22 That may not only be a training feature
23 engineers, but also the current engineers who are in the
24 field they could take certificate courses or graduate
25 courses or cybersecurity training sessions like grid

1 security conferences and so on. So the universities have a
2 critical role in workforce development, development in
3 partnership with industry and other Federal Agencies. Thank
4 you.

5 CHAIRMAN LA FLEUR: Well, thank you Collette.
6 And thank you all very much. I want to especially thank Mr.
7 Wales for coming over from the DHS. It's always important
8 to have our government partners here.

9 A very interesting conversation, I was just
10 looking behind me because my summer intern this summer, who
11 was here for the morning session, but I think she's writing
12 a speech, won some kind of hacking contest. I don't
13 remember, first place in some Hack Princeton or Hack America
14 or Hack-a-Thon, which I believe is just what you were
15 talking about. You see they didn't have that when I was
16 there since I don't even know what it's called.

17 I have a couple of questions. The first thing I
18 want to talk about, Marcus, you mentioned in your pre-file
19 testimony that there were new data sources to better
20 understand the security landscape and Mr. Assante talked
21 about -- I believe it was you, Michael, who said that the
22 standards are too backward looking and we need more leading
23 indicators of things.

24 Are there leading indicators of cybersecurity
25 issues that we can develop? You know you've talked about

1 faint signals in other places. Some of the standards, I
2 think, are intended to do that, intended to think if you're
3 not careful about passwords you might not be careful about
4 firewalls or air gaps or other things, but are there more
5 cyber leading indicators we can look for in the system that
6 will help?

7 MR. SACHS: We've certainly learned that cyber
8 is not like a predictable system, so typically, when you do
9 standards it's because you can predict a behavior. In
10 Physics, you know like a railroad.

11 CHAIRMAN LA FLEUR: Like a safety pyramid, if
12 you do so many of these you'll have so many of those.

13 MR. SACHS: Right. But security does have a
14 baseline. There are some fundamental things that we all do.
15 We call it hygiene. We call it best practices. That, of
16 course, can be done, but where the adversary works is above
17 that and the adversary doesn't care how compliant you are.
18 Doesn't care which standards you've done. They don't care.
19 They're just looking for ways to get in. So this goes back
20 to then, well, how do find -- what are those faint signals?
21 How can we see where the adversary is punching around
22 looking for a way to get in?

23 You're familiar with our CRIP Program, the Cyber
24 Risk Information Program? That generates an enormous amount
25 of information about ourselves. We're able to look through

1 that information and find things -- as I was saying earlier,
2 look for things that aren't normal, something new that's
3 happened, something we can't explain and began to ask lots
4 of questions. Some of the best analysts out there are those
5 who are curiosity seekers. They just see something that
6 doesn't look right and let's just start going down that road
7 to see where it takes us. We may not uncover anything or we
8 may uncover some brand new malware nobody's ever seen
9 before, a new technique.

10 The information sharing, as Brandon mentioned of
11 the AIS Program, we're embracing that. We're building out a
12 pilot, so we're going to do the automatic information
13 sharing. So again, if some entity sees something that's not
14 right let the computer share that with other computers. The
15 human tends to slow things down, but the human mind is
16 something very special and can see things that are
17 different. It can ask questions that a computer can't ask.
18 A computer often doesn't ask why is something happening. It
19 just says it is happening, but the human mind could say why
20 and connect dots, as we like to say it.

21 So I think as we are getting better at
22 understanding what security is, we're getting better at
23 detecting when security events are happening and then
24 getting better at analyzing them and asking that "Why"
25 question so we can get the word out, so we can get others

1 involved. And always I'll go back to the partnerships.
2 The more people that we have -- it doesn't matter who
3 employs you, whether it's private sector or individual or
4 government, it doesn't matter. If you've got a good brain
5 and you want to jump into this, the ocean is wide open and
6 we need people there. We need them collaborating across all
7 these boundaries. It's not competitive. You know this is
8 all about security of our way of life and so the more people
9 we have doing that the better it is for all of us.

10 CHAIRMAN LA FLEUR: So you need a human to spot
11 the patterns, but can the computer like toss up the data? I
12 remember when we used to have the mainframe and you actually
13 had the code. You're not going to actually be -- like I
14 know you're too young to have had those punch cards that we
15 had, but I mean you're actually looking for the

16 COMMISSIONER HONORABLE: Yes, I'll admit that.

17 CHAIRMAN LA FLEUR: But you know nobody has time
18 to look at all the little things, but somehow you have to
19 look at it electronically, right?

20 MR. SACHS: You could find a card in a fortran
21 deck, yes.

22 CHAIRMAN LA FLEUR: If you got one wrong, it
23 won't run.

24 MR. SACHS: It messes up the whole program. It
25 won't work. And then you get to the end of the line and run

1 it again.

2 CHAIRMAN LA FLEUR: But there's the equivalent
3 now, even though it's no longer a card where there's some
4 thing in there.

5 MR. SACHS: Large datasets is the challenge
6 because we're accumulating all this data, terabits of data.
7 The human mind cannot begin to grasp this. This is the
8 challenge that Google and Amazon and others have overcome
9 where they look at very large amounts of data, use the power
10 of computer to go find things and present it to a human in a
11 way that our brains can interpret it. That's something
12 we're also beginning to understand in security is how do
13 bring something out so the human can see it and it's only
14 through your eyes. We can't really taste cyberspace or hear
15 cyberspace. We have to look at it because that's the way
16 our brains work and so the challenge is how do you put
17 something on a screen that a computer can express to an
18 human so a human can understand it and begin starting to ask
19 the questions and then the computer can go back and maybe
20 answer those questions. A lot of work being done in the
21 research community, a lot of work still to be done there,
22 but data visualization is one of the big key items and
23 security visualization is key piece as well.

24 CHAIRMAN LA FLEUR: It's fascinating. I know
25 Michael is -- has stuff to say.

1 MR. ASSANTE: Thank you. I would suggest that
2 in deconstructing some past incidents that have affected
3 control systems particularly the signals would not be
4 described as faint, but they would be described as
5 deafening. In fact, some of the incidents would demonstrate
6 that adversaries were experimenting. In fact, we've
7 developed what we believe as models to look at in order to
8 have a physical affect on a system it takes quite a bit of
9 effort on the adversary's part in order to learn and know
10 and have confidence that if they do something they're going
11 to have a desired affect. And in the case of Ukraine, there
12 certainly were observables and we wrote about those
13 significantly with the EISAC about what to look for. And
14 for example, some of the switches that uploaded most of
15 (1:11:07.8) to they typically aren't touched by
16 individuals. Once they're commissioned and tested, they're
17 never managed. And when somebody goes out to touch them, it
18 should be a big indicator that you know why are we doing
19 that, right?

20 And also, I would say in the area you talked to
21 earlier panels about data analytics and to Marcus's point,
22 I've seen incredible prognostic technology advancement in
23 this industry. In fact, arguably, I've seen individual
24 utilities understand machines to a level of fidelity that is
25 impress to be able to predict failure so they could take

1 failures on their own terms. I believe we have the
2 technology to apply that for the cybersecurity challenge.

3 Again, if you go with the basis that, in fact,
4 this new malware that we've discovered it just doesn't work
5 all by itself. You have to get it into position and then
6 you have to have this confidence that you understand exactly
7 how the utility's operating breakers with the protocol, it's
8 AD&P3. There's different ways to do it. And in order to
9 experiment, you want to catch them in their
10 experimentation. Prognostic technology could see the
11 slightest tampering, an unauthorized circuit breaker
12 operation in a small part of substation is something that
13 can be detected. And I do believe that the industry has the
14 capability of going down that road. They need the
15 flexibility to try to conduct that innovation. I've been
16 working with people like General Electric. GE has been
17 looking at that. They understand their machines very well.
18 They're looking at how can they use their models to identify
19 tampering within those same systems. So I believe
20 technology and that data analytic you talked about earlier
21 is a tremendous opportunity for us in order to start
22 outpacing the attackers.

23 CHAIRMAN LA FLEUR: Thank you. I was going to
24 ask who could we learn from. We just heard Google, Amazon,
25 and GE -- I mean people out there that are doing this.

1 I think it's related, but you talked about, at
2 least in your written testimony, about Internet signatures,
3 which I guess where you see where something is coming from
4 and Commissioner Scott mentioned the fusion centers like in
5 Topeka that compare one set of data to another set or data
6 or whatever. Do we have the right protocols to share that?
7 Do we need to do things differently so if one company sees
8 something it gets to the EISAC and gets to other places? I
9 mean I don't understand it well enough to know, but it
10 seems like it would be rich area to prevent problems.

11 MR. SACHS: I'll give you a brief answer and
12 then I'll pass it to the Commissioner, but oftentimes
13 organizations like us or a private sector group or the
14 government will see something and want to pass it to others.
15 We use a process called TLP or Traffic Light Protocols to
16 handle the sharing of information. So when you discover it,
17 you have to be careful about it. You don't want to just
18 broadcast it to world because your adversaries may see, but
19 you wanted to give it to a trusted partner who can do
20 something with it, so you'll call it TLP green or amber or
21 whatever.

22 On the government side, oftentimes, it's
23 detected in classified channels and so it's got a
24 classification wrapper on it and we have to get that wrapper
25 off, get it down to unclassified. There's a delay there.

1 When the machines want to talk to each other, they don't
2 understand any of that. That's a human hindrance and they
3 love just chitchatting back and forth, but it takes a human
4 to connect two computers together and often the humans are
5 bound by legal barriers, bound by information and trading
6 barriers, bound by fear that the adversaries might get in
7 the middle and watch the machines talk.

8 So there's a lot of good technical things we can
9 do, but there's a lot we need to do in terms of the human
10 understanding of why we need to rapidly share and barriers
11 that are artificial, largely legal, cultural, that we need
12 to take off the table.

13 I know we often have good stuff we could share
14 with others. Others have good stuff that they can share
15 with us, but many times it's the people that get in the way,
16 not the technology. That's not stopping us. It's the
17 process. The Commissioner may have the same sort of
18 observations.

19 CHAIRMAN LA FLEUR: Bob, I know you talked about
20 fusion centers in your testimony. I know what some of what
21 they do is confidential, but I guess are there ways we can
22 share this data better?

23 COMMISSIONER HONORABLE: I think it's a great
24 question because I think with some of the fusion centers
25 that is the challenge, that if you don't have a clearance

1 you really can't really participate.

2 COMMISSIONER SCOTT: Well, that is something, as
3 you're aware, New England is exploring. We have a fair
4 working relationship with the Kansas Intelligence Fusion
5 Center. We're exploring that type of activity, but
6 Commissioner Honorable is exactly right. Obviously, that
7 only works to the extent that the utilities involved have
8 the appropriate clearances for obvious reasons.

9 So it brings in a world of other issues like
10 spillage and mitigation strategies, but I will say at least
11 in New England, and I think Marcus mentioned DOE CRIPs, not
12 all of them, but most of the utilities we're working with on
13 that type of activity are also using CRIP, so it's not one
14 or the other. They're finding extra value having gone out
15 to Kansas and worked a little bit with them. It's an
16 exclusive club, if you will

17 CHAIRMAN LA FLEUR: In your perfect world,
18 anyone, I mean how many people within a utility would have a
19 clearance. I mean I got to a lot of briefings with CEOs. I
20 mean I was the CEO. I didn't do the computers, right? I
21 mean I was never a CIO. You'd be insane to make me one, so
22 I mean you'd brief these people who might have clearances
23 and I mean so how -- if we had a perfect system where the
24 right people had the clearances, how deep would it have to
25 go.

1 COMMISSIONER SCOTT: There's multiple questions
2 there. What level of clearance depends on how deep you're
3 going to go also. Generally speaking, in my view, at least
4 to get started obviously there needs to be CEO buy-in. The
5 CIOs ideally would be involved and then you have the actual
6 people doing the work, right? So that I would argue for two
7 or more, I think, depending on what you're doing and why you
8 need that. And I say buy-in is as if there's a mitigation
9 strategy that's developed based on that type of data that
10 costs some money, obviously. Now that has to be sold up the
11 chain for obvious reasons and I'm a regulator at the moment,
12 so certainly get that.

13 That requires the buy-in, so at least to start I
14 think you need more and my guess if the utilities were to go
15 down this path that once there's a faith in the system, if
16 you will, that perhaps could get lessened. So I'm not
17 suggesting that clearances are easy. In a post-normal
18 world, if I were on the federal side I would be wondering
19 too how many of these do we want to give out, et cetera.
20 It's a challenge.

21 CHAIRMAN LA FLEUR: And I wasn't arguing that
22 CEOs shouldn't have clearances. It's just they're not going
23 to operationalize it into the machines, I assume, unless
24 they're very unusual.

25 MR. WALES: Let me try to provide a little

1 context to this, both the value and the potential
2 overestimation of value in providing security clearances. I
3 think we've used security clearances that we provide to the
4 private sector and DHS itself has cleared somewhere around
5 1500 to 2,000 private sector owners and operators throughout
6 the country.

7 They provide two purposes. One, is they're
8 helping us, so when we have classified information we can
9 share it with them and they can provide context from how the
10 industry would view this information. Are there things
11 because of their unique expertise and understanding and the
12 kind of activities that they oversee that they could read
13 into this intelligence that government analysts won't be
14 able to do.

15 Second, it helps to provide broader
16 environmental understanding of the nature of the threat. It
17 is not going to help with network defense immediately.
18 That's why we spend a lot of time trying to figure out how
19 to get the kind of information that's going to make a
20 difference to network defenders down to a classification
21 level that can be share because when we bring 20 people into
22 a room and provide them with a classified briefing they
23 can't just go back to their office and tell their network
24 defender put in the following classified hash into your
25 firewall. You know it doesn't work that way and so

1 clearances are an important part of what we do in terms of
2 the information sharing. We think it helps make sure that
3 we are on a common baseline with the leadership inside of
4 organizations and with the key people who have to monitor
5 their networks, but it is not going to be a panacea for even
6 emerging threats and risks.

7 It's not going to stop necessarily the next
8 Ukraine if we have indicates of the kind of activity or the
9 kind infrastructure that that cyber operator was using to
10 target those networks. So we think it's important, but it
11 is, by far, not going to be enough.

12 CHAIRMAN LA FLEUR: So I'm going to translate
13 back what you said. It's not just getting some people
14 clearances. It's getting the data to a level that it can be
15 operationalized. Okay.

16 MR. MITCHELL: If I could just add a little to
17 that, we always are pushing for the information to become
18 actionable. You know get it out to the industry. It
19 doesn't have to be classified. It's just utilizing
20 classified information to inform an actionable alert that
21 would come out through the EISAC or some other form. And
22 then we, as the industry, would utilize our trusted networks
23 of saying trust us. We're getting this information. We
24 need to act on it. We need to move on something and it is
25 of highest of importance.

1 Unfortunately, and Commissioner Scott brought up
2 the issue with Burlington. That was followed. Everything
3 was done right by Burlington and then they went through the
4 mud in the media. We lost trust in the system with that,
5 but we are rebuilding that through these efforts and we
6 encourage that trust rebuilding.

7 CHAIRMAN LA FLEUR: I want to ask one more
8 question that's on a different cybersecurity topic. One
9 thing you hear a tremendous about is the increased
10 cybersecurity threat from all the distributed resources and
11 the Internet of things. Frequently, that is said by people
12 who might have other reasons to not like distributed
13 resources, so it's hard, as always, to unscramble this.

14 I generally feel like if we're doing our job in
15 this building, then if something comes in from a distributed
16 resource and it gets up to the Bulk Electric System it
17 shouldn't be able to go across and be a cascading outage
18 because we've stopped it at that level. But I have all
19 these experts here. How much of an issue is this, the fact
20 that we're going to have a lot more distributed resources
21 and is there something we should be doing about it because
22 it's very (1:22:24.6)(in the land? You hear it as sort of
23 a throw away line in speeches. And by the way this going to
24 become much worse because of blah, blah, blah, blah.
25 Interested in your thoughts.

1 MR. SACHS: Just briefly, it's not the
2 distributed energy piece. That's electricity physics that
3 we worry about. From a pure security perspective, it's
4 introducing a new device that you don't know about. It has
5 possibly a connection to the open Internet that we don't
6 know about and there are billions of people on the Internet
7 that we don't know about.

8 In an earlier world, it's all protected. These
9 things that connect together and produce and deliver
10 electricity are private. When you bring in an Internet of
11 things or anything that's connected, it doesn't matter what
12 it's doing, if it's connected you're now extending what we
13 call the attack surface. That is the fundamental issue.
14 It's not the physics of it. It's not the politics of it.
15 It's the fact that you're connecting the public Internet,
16 possibly at the bottom, which could then open a door to come
17 up through the bottom of the network through distribution
18 and perhaps do damage.

19 CHAIRMAN LA FLEUR: So in the olden days, which
20 wasn't very long ago, the meter on my house only the
21 electric company could read it. It had a lock. I never
22 touched it. It was just all there. But now if I have my
23 phone and I can turn things on and off, then a lot of data
24 is somehow around; is that sort of what you're saying?

25 MR. SACHS: It's again not so much the data. If

1 the meter can be reached anonymously by somebody we don't
2 know about on the Internet, there could be a problem. If
3 the meter can only be touched to authenticate it; in other
4 words, the electric power company is the only one that can
5 read it and talk to it, we're fine. There's no issue there.
6 It's that unauthenticated piece that's the problem.

7 CHAIRMAN LA FLEUR: So is this a problem for the
8 Bob Scotts of the world or is there something FERC should
9 do?

10 MR. SACHS: No.

11 CHAIRMAN LA FLEUR: So it's at the distribution
12 level, but it somehow -- Michael's going to help us.

13 MR. ASSANTE: I was going to suggest two
14 dimensions. What we really need to watch out is the
15 concentration. And when I say by concentration, it is the
16 access and we like to do this. In a market-driven economy,
17 we achieve efficiency and often in the achieving of that
18 efficiency we build architectures where we actually
19 concentrate to be able to touch lots of these things.

20 In fact, I've been amazed sometimes about seeing
21 distributed resources throughout the country that's actually
22 in a maintenance sense monitored at a single location. Now
23 the question in my mind in these architectures is when we do
24 interact with these devices in a distributive fashion when
25 we're interacting how many should be interacting with it at

1 any one time? Most business cases means we're going to deal
2 with one, two, three, or four machines to tune or make a
3 change or adjustment, but the architectures allow for
4 touching all of them. And these are the types of things
5 from an engineering perspective we need to take note and so
6 it does extend into the distribution systems. It does
7 extend into renewables, for example. But again, I believe
8 it's about secure architectures. There's lots of benefits
9 for doing it this way. We should absolutely be moving
10 forward in that direction, but we need to bring that
11 security requirement into the engineering design of those
12 systems.

13 MR. WALES: Let me just give you two ways of
14 thinking about this. On the one hand, the distributive
15 resources within a particular utility if those are protected
16 the same way that they've protected the rest of their
17 operating systems, meaning that there's not Internet
18 addressable systems. You can't get to them from the
19 outside. You can only get to them from inside of the
20 network, then they're as well protected or not as well
21 protected as the rest of the operating systems that they
22 have on their grid.

23 If, however, those are Internet addressable,
24 which means anyone in the world can immediately find that
25 and begin to look for weaknesses, the adversary has a lot of

1 time and they will eventually find weaknesses in those
2 systems. And if, depending on how the configurations work,
3 if they get in they can move elsewhere and do a lot of
4 damage. But I would say that's a little bit distinct from,
5 I think, some of what you're hearing, which is kind of the
6 second issue, which is just the large number of Internet of
7 things potentially provides an adversary a lot of toys to
8 connect with and then use those an amplifying attack on
9 other infrastructure, which what we saw with the DDOS attack
10 using the Mirai botnet both net late last year where they
11 just created a huge, loud service attack because they were
12 able to get contact with all of these Internet addressable
13 Internet of things devices -- you know little things in your
14 house that you don't even think about, but they're connected
15 to your Wi-Fi. They're Internet addressable and an
16 adversary can eventually get contact with those.

17 So in terms of where FERC is and where I think
18 NERC is the question is how do these standards cover widely
19 dispersed devices on a utility's operating network? What
20 are the requirements for security around those devices? And
21 if they're just part of their regular operating system, they
22 are just now sitting at your home as opposed to inside of a
23 substation they can be well protected.

24 CHAIRMAN LA FLEUR: But technically,
25 jurisdictionally we're doing the Bulk Power System, so if

1 they're on the distribution side of the meter, unless
2 they're going to come in, jurisdictionally, at least, the
3 states would make the rules.

4 MR. SACHS: Only if you're talking about a grid
5 device or distribution device, but what Brandon's talking
6 about is much, much bigger. Could it be FCC? Could it be
7 Consumer Product Administration? I mean there's a whole lot
8 of other animals here that have to be brought in. It's not
9 just a NERC/FERC versus states to have a discussion.

10 MR. BALL: So the key component of that from a
11 utility perspective is the architecture of that
12 infrastructure. You have to have the ability to separate
13 your corporate network that has access to the Internet from
14 your operational network or SCADA network. And that is
15 probably the key to maintaining cybersecurity on anything
16 that can be or could be controlled from outside of the
17 utilities.

18 CHAIRMAN LA FLEUR: You didn't necessarily make
19 me feel this wasn't a problem, but at least you made me feel
20 like you understand it very well and that's a very good
21 start.

22 MR. GOVINDARASU: I think that IOT is the new
23 thing that anyway that comes small on the consumer side, but
24 coming back to the bulk process that will sell. The smart
25 grid technologies, like whether you call it smart sensors

1 like PMUs, like communications technologies, distributor
2 controllers, all kinds of things they do increase attack
3 surface, because those are IP-enabled devices. They are
4 connected somewhere. You have more access points.

5 The question is whether those access points are
6 available to adversity or someone outside. How do you
7 protect that? So assessing that attack surface and also
8 minimizing that attack surface of risks. I think those are
9 important. It is not to say, oh, we should not automate,
10 then we are going backward. While we are automating things,
11 we need to make sure that a security is in place. There's
12 secure architecture isolation, what kind of access control
13 has to be in place or authentication and so on. I think it
14 has to be carefully planned. That is where the standards
15 come into place. A weak systems are allowable to be
16 accessed outside. Some other things should not be allowed,
17 then it should be within the parameter and things like that.
18 I think it has some flavor of those things. But as we talk
19 about IOT and other things, one has to be very careful about
20 defining those standards and what those qualities are.

21 CHAIRMAN LA FLEUR: Well, thank you for that
22 clarification because some of those smart grids are very
23 much on the Bulk Power System. We're talking PMUs on big
24 transformers and things. Thank you.

25 MR. BARDEE: So I just have a couple of quick

1 questions, recognizing that we are getting near the end of
2 our day.

3 Mr. Assante, in your written testimony and again
4 in your oral remarks, you reference an effort by INL
5 involving consequence-driven cyber-informed engineering and
6 you said that it's a way to engineer out the worst cyber
7 risks from our critical energy infrastructure. Could you
8 talk a little bit more specifically about that?

9 MR. ASSANTE: Sure. And this goes back to, I
10 think, a question of an earlier panel, this idea of
11 fallbacks or analog, but really the bigger concept is taking
12 the strength of industry, which are the deep expertise and
13 trying to understand what type of consequences a cyber
14 attack can enable within the power systems or assets in
15 which the utility controls. By taking that additional
16 prioritization, this idea that consequence first, let's look
17 at what would be something would be more difficult to
18 recover from. I mean that allows them to really identify
19 and understand at a very deep level how do these systems
20 work and how have they been engineered as we've deployed
21 them and then reconsider some engineering choices and
22 tradeoffs.

23 Ideas like simply removing a soft cyber control
24 and actually having a dry contact might be a very cheap
25 engineering solution that removes an entire risk of a

1 machine being damaged irreparably. So the idea is to get
2 that level of depth. It forces utilities to break through
3 assumptions, thinking that we're done this way and that way
4 and we find that there's a lot of false assumptions when you
5 actually go look how systems are put together and what is
6 possible. But also, again, it builds on the engineering
7 strength of utilities.

8 And the reason why I believe it's absolutely
9 necessary is adversaries today are demonstrating the
10 capability that we must, as defenders, go beyond cyber. I
11 appreciate that some of folks here believe in separate is
12 absolutely important in terms of separating your business
13 systems from your control systems; however, the adversaries
14 that we've watched are getting good. They understand that
15 separation will be there. They're developing delivery
16 techniques to beat that separation. Two factor VPMs have
17 been defeated by certain actors around the world. So some
18 of these controls that we rely upon are no longer as
19 effective as we believe they are and so going beyond that to
20 understand, I think, what is our strength in applying
21 engineering to this problem has lots of benefit.

22 And again, when we talk about focusing on large
23 outages and losing big parts of the system that's where a
24 constant-driven approach really brings you very quickly.
25 You begin to understand that it might an aggregation of how

1 we're interacting with several low or medium CIPs assets as
2 defined by the standards because the way we've architected
3 our interaction this is an area that we need to go back and
4 readdress how we're engineering. It will inform cyber
5 defense efforts too. Having a deep level of understanding
6 goes back to your cyber defense strategies.

7 It allows you to identify jump points where
8 adversaries need to get to in order to be able to affect
9 some of these things. And I would also argue as my last
10 point the malware that we've seen the way it attacked the
11 system to cause disruptions is absolute a normal way should
12 that the system should communicate. It's using the
13 industrial protocol that we have implemented to open a
14 circuit breaker.

15 There are some features within the malware, like
16 an exploit against protective relay, which would have a
17 signature that looks like it is something that is
18 non-normal, but everything else looked absolutely normal.
19 So I would encourage utilities get a deeper visibility into
20 how systems communicate and that begins with an engineering
21 understanding, which I know the utilities have and possess
22 that capability.

23 So working with our partners, we believe that's
24 going to provide the biggest reduction of risks because the
25 type of risk we're most worried about come from your

1 significant risk-type of dimensions. It's not from the
2 12-year-old hacker or the 14-year-old hacker, if you will.

3 MR. BARDEE: So to me, it sounds a little bit
4 like an idea I've heard about in the context of our physical
5 security standard, CIP14, where utilities will look at their
6 system and say, well, for now we're going to protect the
7 ones that are critical, but in the future we're going to
8 build out our system in a way where we don't have critical
9 substations. We're going to reduce our risk by redesigning
10 going forward.

11 MR. ASSANTE: That's absolutely right. The
12 long-term learning as to what enables a terrible consequence
13 through cyber means what could happened informs design
14 decisions in the future and so we're starting to see some of
15 that activity as we're engaging in some of these methods
16 with industry and industry partners. So I believe that's
17 absolutely right and bringing in the suppliers to partner on
18 how they are architect to design their solutions is a vital
19 aspect to this as well, so this really an opportunity for
20 shared learning and the ability to be able to move that
21 learning. And I believe a lot of what I've seen in
22 deconstructing real-world events would indicate that that
23 type of thinking is important.

24 I'll give you one last example in a nuclear
25 context and I'm very proud to see the United Kingdom is

1 adopting this. We've moved to digital safety systems for
2 our advanced light water reactors. That's a move away from
3 analog. You had to. But the question is not an analog
4 device, but the question is should we be using general
5 purpose controllers in technology for that safety system or
6 should we have a fallback system that is a highly
7 deterministic and very difficult or I would say limited
8 programmable device that is performing that final safety
9 function to avoid what could be a consequence that's not
10 tolerable.

11 Those types of engineering efforts need to be
12 understood by the suppliers. Economics will drive us one
13 way, general purpose. Knowing where the limits are and
14 where the thin line, if you will, would be for consequences
15 that we cannot tolerate would require us potentially to go
16 the other direction.

17 MR. BARDEE: And one last topic I wanted to
18 raise with Mr. Sachs on the reporting requirements for cyber
19 security the State Reliability Report notes that we had no
20 reportable incidents 2016 and even in 2015 and I understood
21 from the report itself, and I think your remarks or maybe
22 Mr. Cauley's earlier in the day, that you all are taking
23 another look at are there other metrics we should be looking
24 at. Could you describe that a little bit?

25 MR. SACHS: Yes, thank you, Mike.

1 So this kind of goes a little bit to what Mike's
2 talking about is what's the consequence you want to avoid
3 and we want to avoid loss of load, so we go and look and see
4 has there been any loss of load caused by cyber and the
5 answer is no, or by other security events. And so you
6 report that and say all is well, but it kind of gives a
7 false impression.

8 Yes, the consequence has been avoided, but it
9 doesn't mean there's not a problem or that there could be a
10 problem or something hidden and that's our challenge, guys.
11 How do we go look for those types of things we can see,
12 measure, have reported to us, and begin to do that analysis
13 that even though there's not been a lights out or loss of
14 load or the consequences we don't want to happen that we
15 still become cognizant of what else is going on and so we
16 can get that early indication.

17 Currently, as you know, we've got mandatory
18 reporting at certain thresholds and that's working fine.
19 Then we have voluntary reporting beyond that, a lot of
20 improvement we can do there, but also we have to recognize
21 we have seen a lot of improvement in the last few years.
22 The amount of voluntary reporting is definitely on the
23 increase and we want more of it. But like anything else,
24 there's that fine line of do you want to move out mandatory
25 piece so people feel compelled to report, which means

1 they'll only report what they have to report or do you
2 incentivize the voluntary side so people would feel more
3 comfortable with voluntary sharing. They'd feel if I put
4 something in I'll get something back out. We feel that's
5 the proper way to go. What is that incentive? Don't know.
6 That's part of what we need to work on this year and the
7 coming years is what can we do to help increase that
8 voluntary sharing.

9 Can we use the fact that the machines
10 automatically record everything they see? You know the
11 logging functions that are built into virtually everything.
12 Can we get that because that's not an opinion? It's not a
13 survey. It's facts that the machine is recording. Can we
14 get those logs shared? Can we get telemetry off of CRIS and
15 CAS and some of these other new programs? Can we study that
16 telemetry and look for those faint signals that you hear us
17 talking about?

18 These, I think, are areas rich for the next
19 coming years of exploration, things we can do that don't
20 require more mandatory sharing, but can look at what we're
21 already sharing and see what we can pull out of that and
22 then encourage more of that voluntary, particularly
23 machine-to-machine type of sharing of knowledge.

24 MR. BARDEE: Then last question, again related
25 to the reporting requirements. Whatever the reporting

1 requirement is or whether there's voluntary reporting or
2 whether there's voluntary reporting on top of that that's
3 much more rich right now the NERC Report puts out just a
4 number and the last two years it's been zero, but in prior
5 years there's at least been a couple of events, I think. Is
6 it possible for the EISAC to take the information it has,
7 whether it's mandatory or voluntary or it makes a difference
8 which one, and provide at least some additional information
9 about the nature of the event that have been reported. It
10 would have to be at some fuzzy level of granularity and
11 certainly anonymized, but ISC CER, for example, puts out an
12 annual report that says, you know, in this sector we had "x"
13 number of events last year. Is that something the EISAC
14 could do?

15 MR. SACHS: I think absolutely that's something
16 we can do. In fact, in this year's grid resiliency report
17 the chapter on grid security is different from what we've
18 done in the previous two years where we actually did look at
19 2016 what was reported to the EISAC and tried to tease out
20 what can we learn about what was reported.

21 Granted, in 2016, we're still ramping up. In
22 '17, we've already surpassed the entire year of '16. We've
23 already accumulated in '17, which is good. So next year the
24 report will be that much richer, but what you're hitting on
25 is exactly the direction we need to go in. The EISAC pulls

1 in a lot of information. We analyze a lot of stuff; put a
2 lot of reports out. We can also analyze what we've analyzed
3 and create a much better picture, at least orally describing
4 what we're seeing and what we're learning. What's going on
5 beyond just what the machines are talking about, you're
6 absolutely on the track that we're on.

7 MR. ADREJCAK: Just a couple of comments and
8 then one general question, I guess. Greg, you'd mentioned
9 earlier about phishing attempts. There was a report that
10 came out today about a quarter of the Australian utilities
11 were just hit with phishing attempts, so it's not something
12 that's easily going away. I mean it's obviously still out
13 there, so it's very on point.

14 Second thought, Marcus, you talked about getting
15 these folks at a young age involved in cyber defenses. I
16 was recently at a military exercise last week where we had
17 all branches of the Military, along with a lot of friendly
18 nations there, nice big scale drill exercise. They
19 genuinely were excited about it, but what I found out was
20 nobody wanted to be the defender. They all wanted to be the
21 attacker and that seems to be the biggest problem I think we
22 have right now is folks don't want to be the defender.
23 It's more fun to be the attacker.

24 MR. ASSANTE: In fact, you know an assistant
25 administrator is the defender. You talk to somebody who's

1 in 10th or 11th grade and you say do you want to be a cyber
2 attacker or do you want to be a system administrator? You
3 know what's the response? But much like in the Military, we
4 teach young servicemen and women how to defend at the same
5 time we teach them how to attack and you learn that your
6 weapon, whatever your weapon system is, is both for defense
7 and offense.

8 When we teach people how to be system
9 administrators, we often shackle them and this is a big
10 problem in the Military. You know thou shalt not do anything
11 other than these things and if somebody bad comes in call
12 this other group. You are not allowed to go elsewhere. So
13 what do the kids want to do, they want to go work in that
14 other group because they're the ones having fun because we
15 shackle the defenders.

16 So that's part of this mindset we also have to
17 think about and it goes to what many of us have been saying
18 here. There's new rules we need to come up with, new
19 approaches, new ways to thinking about not just for the
20 kids, but even how we operate in this cybersecurity world
21 that's very different from what we've been doing
22 historically, which is more of a safety-oriented type of
23 world and very predictable. This is not as predictable.

24 MR. ANDREJCAK: Mike, I guess my final comment
25 is directly more or less towards Mike and I guess

1 Commissioner Scott you as well because you kind of tied this
2 issue together, but I read a really great article that had
3 both you and Robert Lee from Dragos in Wired Magazine that
4 came out very recently, which really shows both yours and
5 his dedication. This is not just a job, but it's obviously
6 something we all live. This isn't like a 9:00 to 5:00
7 thing. When it happens don't call me at 8:00 o'clock at
8 night. You guys dropped what you were doing to go address a
9 big problem in the Ukraine and I guess I was concerned about
10 what are your thoughts about getting the information out
11 there quickly versus getting the information right, as
12 Commissioner Scott had to deal with, with the Vermont issue?

13 MR. ASSANTE: It's a critical question,
14 difficult. As you can imagine, when any events occurs
15 there's a fog of war, if you will, as to what really did
16 occur and getting the right people to take a look at that
17 information.

18 First, I want to commend the Ukrainians for
19 giving an unbelievable look to the United States Government
20 as to what did occur and that's important. This idea of
21 commitment to shared learning with folks is very important.
22 I think by working in different capacities with FERC and
23 NERC and the utilities industries and stuff, I think this is
24 an industry committed to learning. I think there are
25 massive improvements that we could do in deconstructing

1 incidents and being able to do that. That type of work
2 needs to be done and it needs to be prioritized.

3 The tradeoff between quick there's ways to do
4 this. There is what we say tippers out to the injury that
5 says we're not completely sure about this, but these are
6 potential indicators. Here's what you could do with it, but
7 being careful as to say what you can do with it our should
8 be doing with it is where I think we got in trouble a
9 little bit some earlier events that occurred. And in the
10 government holds the role of being -- and so does NERC -- of
11 responsible risk indicator, meaning they are going to get to
12 the real story at some level of very real detail and I think
13 we worked through the stresses of that in terms of
14 communicating about the first Ukraine event. It did take a
15 long time and I think there were no immediate attacks that
16 occurred, so maybe that was okay that it took that time, but
17 in this space we won't have that luxury potentially in the
18 future.

19 I really worry about a campaign of attacks and I
20 think if we start to experience that we will be forced to
21 very quickly learn as much as we can and get information out
22 as we're going in order so that other utilities can defend
23 themselves.

24 MS. POINTER: I just had a comment and then a
25 question. The earlier discussion about -- I think, Mr.

1 Sachs, you mentioned about telling those 13- and
2 14-year-olds to go out there and do stuff, I'm having the
3 opposite conversation with my 12-year-old. So hopefully, I
4 can convince him to be the administrator or the defender
5 that you're talking about, but right now we're having some
6 pretty -- I won't say difficult, but several discussions
7 about what to do and what he shouldn't do.

8 My question is actually to Mr. Assante. I think
9 Mike raised the question about engineering and I think you'd
10 mentioned loads and I guess while you're here just what are
11 your thoughts about the reporting requirement for low-impact
12 assets? I know Mike mentioned about -- well, I think
13 actually the conversation was more so on the medium and hot,
14 but you'd mentioned loads, I was just wanted to hear what
15 your thoughts are about loads.

16 MR. ASSANTE: Thank you. I am concerned that --
17 and I think that the standards have evolved in a wonderful
18 way in terms of bringing more systems into scope, looking at
19 systems and impact reliability and that's been very
20 important. Some of the things we're learning in terms of
21 real-world incidents could indicate attackers might be
22 trying to operate against multiple utilities or a single
23 utility in scale, which means now that something that we'd
24 look at individually as an assets, as a low asset, but taken
25 in an aggregate of being able to open circuit breakers at

1 multiple locations you know the impact is as bad as if you
2 would've been attacking larger substations, 500kv and
3 larger.

4 And that's a concern. It's obviously more
5 difficult. What we should do is to think about how to
6 architect our system to be able to allow an adversary to
7 achieve that scale. Some things would require them lots of
8 time and it would be difficult to do. Other types of
9 architectures and ways we interact with technology make it
10 easier.

11 I think if we take a good, hard look at that we
12 might be able to accommodate both, the idea of assets and
13 resources that individually when misused could cause big
14 problems on the system. This mounds or malware that we're
15 talking about has the ability to operate circuit breakers if
16 you could deliver into place were it could communicate to
17 enough substations.

18 And again, this is not easy, but if you could do
19 that the scale problem comes in and so the load requirements
20 in the standards today, as you know, wrap basic protections,
21 not necessarily the type of protections. We talked about
22 using VPNs. Well, those apply to certain assets, not others
23 and so I think it forces us to go back and look at how we're
24 interacting with a larger deployment of technology.

25 MS. POINTER: Thank you. That's all I have.

1 CHAIRMAN LA FLEUR: I just wanted to first start
2 by thanking all of the panelists for your very thoughtful
3 comments. I think it's been an excellent day. I think some
4 views were rich, a very rich discussion. And thank all of
5 the organizations you represent all day long for keeping the
6 lights on, small detail, that's what this is all about. So
7 thank you for what you do.

8 I want to thank the people on FERC staff for all
9 the work in setting this up, especially Mike for chairing
10 it, Lode White for doing a lot of the work to organize it,
11 Sarah and others, everyone who pulled it together.

12 And finally, I just want to thank my partner in
13 crime here, Collette. When we sat in this room last month,
14 I said I hope this won't be the last time we sit in this
15 room together.

16 COMMISSIONER HONORABLE: And it wasn't.

17 CHAIRMAN LA FLEUR: And I equally hope that
18 today, but I'm less sanguine that there'll be a lot of other
19 times.

20 COMMISSIONER HONORABLE: Cheryl, I feel like the
21 runaway bride. I don't know if I'm coming or going.

22 CHAIRMAN LA FLEUR: I think you brought so much
23 to this discussion and to the Commission, particularly with
24 your relentless focus on customers and also your constant
25 reminders of what we need to do with our state colleagues.

1 You know one of my favorite songs in Wicked is like -- I've
2 heard it said that people come into your life for a reason
3 bringing something you must learn and I really believe that.
4 And you've also done a wonderful job representing the
5 Commission, whether it's in Brazil or in the singing in the
6 FERC chorus or all the other places you, so thank you for
7 that. I will really miss having you.

8 COMMISSIONER HONORABLE: Thank you so much.

9 CHAIRMAN LA FLEUR: Not here, up there.

10 COMMISSIONER HONORABLE: Thank you so much.

11 Let me say to Mike Bardee, who continues to lead
12 so well, I was mentioning to someone on the elevator I
13 really don't think our jobs are the most important. Yours
14 are because you hold this place up and you have the
15 institutional knowledge and experience -- when I say "you,"
16 all of you and your colleagues and you have been committed
17 to this job. And Mike Bardee went away. He went on a
18 detail very far away. He went to Europe. And when he
19 left, I said the only way I'm going to support this is if
20 you come back, so he has. So thank you.

21 And I want to thank all of you, and especially
22 those of you who are sitting in the softer chairs. You get
23 a gold star because you didn't get to say a darn thing, but
24 yet, you're still paying attention. Because this work is so
25 important and we know today that challenges are greater than

1 they have ever been. And I remember when I began as a
2 state regulator 10 years ago hearing that from someone "This
3 job is more challenging than it's every been." Well, it is
4 also and in 10 years it will continue to be, but I know --
5 and after this long day of our work together, maybe the
6 second longest day of the year, that we are well prepared to
7 be able to continue to work on the challenges that lie
8 ahead.

9 It doesn't mean we have it all figured out, but
10 it means that we have number of men and women across many
11 sectors, yes, including our colleges and universities, who
12 are committed to helping us solve very challenging issues
13 and that really gives me hope and heart about the work that
14 we can do together.

15 And let me say, too, to our FERC staff here
16 thank you for supporting this effort that we carry out, not
17 only every year, but each and every day the ways in which
18 you keep electric reliability front of mind for us and I
19 want to thank my staff as well. And to our fearless leader,
20 who has been our chairman, so Cheryl was our chairman when I
21 started here at the Commission and I, in fact, met Cheryl as
22 soon as she became a Commissioner at a NARUC meeting and
23 there were like a million people all over the place, like
24 touching her, is she real? Is that the new commissioner?

25 And so from the moment that we met, Cheryl,

1 you've been so gracious. And even when I transitioned here,
2 I joked that Cheryl's advisors at the time were my advisors
3 because they helped me stand up my team and even though we
4 haven't agreed on every single thing, we have agreed on most
5 and it's been an honor to work along side you, along with
6 our other colleagues who've come and gone.

7 And it's been an honor to work with you at all
8 of the capacities that you've held here as chairman, as
9 commissioner, as interim chair and hopefully, as
10 commissioner and I'll be riding off into the sunset for the
11 next journey. But this has been the highest honor of my
12 professional career and it's so much so because of the men
13 and women I've done it with, so thank you so much.

14 MR. BARDEE: So that will end the day. I thank
15 all the panelists for their help today and other times when
16 we've called on them and look forward to continuing to
17 working on this mission with you.

18 (Whereupon, the meeting concluded at 5:10 p.m.)

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the
5 Matter of:

6 Name of Proceeding: Reliability Technical
7 Conference

8

9

10

11

12

13

14

15 Docket No.: AD17-8-000

16 Place: Washington, DC

17 Date: Thursday, June 22, 2017

18 were held as herein appears, and that this is the original
19 transcript thereof for the file of the Federal Energy
20 Regulatory Commission, and is a full correct transcription
21 of the proceedings.

22

23

24 Gaynell Catherine

25 Official Reporter

Document Content(s)

Transcript 062217Reliability.DOCX.....1-267

Transcript 062217Reliability.PDF.....268-534